

Certification Form

I certify that I have read the transcript for the January 10, 2007 meeting of the Panel, and that to the best of my knowledge this transcript is accurate and complete.



Linda Zeiler, Designated Federal Officer



Dr. Jan M. Mutmansky, Chair

TRANSCRIPT OF PROCEEDINGS

IN THE MATTER OF:)
)
TECHNICAL STUDY PANEL ON THE)
UTILIZATION OF BELT AIR AND THE)
COMPOSITION AND FIRE RETARDANT)
PROPERTIES OF BELT MATERIALS)
IN UNDERGROUND COAL MINING)

Pages: 91 through 207
Place: Washington, D.C.
Date: January 10, 2007

HERITAGE REPORTING CORPORATION

Official Reporters
1220 L Street, N.W., Suite 600
Washington, D.C. 20005-4018
(202) 628-4888
hrc@concentric.net

UNITED STATES DEPARTMENT OF LABOR
MINE SAFETY AND HEALTH ADMINISTRATION

IN THE MATTER OF:)
)
TECHNICAL STUDY PANEL ON THE)
UTILIZATION OF BELT AIR AND THE)
COMPOSITION AND FIRE RETARDANT)
PROPERTIES OF BELT MATERIALS)
IN UNDERGROUND COAL MINING)

Polaris Suite
Ronald Reagan Building and
International Trade Center
1300 Pennsylvania Avenue, N.W.
Washington, D.C.

Wednesday,
January 10, 2007

The parties met, pursuant to the notice, at
9:07 a.m.

BEFORE: LINDA F. ZEILER
Designated Federal Officer

ATTENDEES:

Panel Members:

JURGEN F. BRUNE
Chief, Disaster Prevention and Response Branch
Centers for Disease Control
National Institute for Occupational Safety
and Health
Pittsburgh Research Laboratory
Pittsburgh, Pennsylvania

FELIPE CALIZAYA
Associate Professor
University of Utah
Mining Engineering
Salt Lake City, Utah

JAN M. MUTMANSKY
Professor Emeritus of Mining Engineering
The Pennsylvania State University
University Park, Pennsylvania

Heritage Reporting Corporation
(202) 628-4888

ATTENDEES: (Cont'd)

Panel Members:

JERRY C. TIEN
Associate Professor
Department of Mining Engineering
University of Missouri-Rolla
Rolla, Missouri

THOMAS P. MUCHO
Thomas P. Mucho & Associates, Inc.
Mining Consultancy
Washington, Pennsylvania

JAMES L. WEEKS, Director
Evergreen Consulting, LLC
Silver Spring, Maryland

Staff Members:

MATTHEW WARD, Esquire
Office of the Solicitor
U.S. Department of Labor/MSHA

WILLIAM J. FRANCA, P.E.
Mining Engineer, DOL/MSHA
Pittsburgh Safety and Health Technology Center
Ventilation Division

WILLIAM P. KNEPP
Assistant District Manager for
Technical Services
DOL/MSHA, Coal Mine Safety and Health
District 9 Coal
Denver, Colorado

JEFFREY KOHLER
Associate Director for Mining
Mining Safety and Health Research
NIOSH

MICHAEL G. KALICH
Senior Mining Engineer
DOL/MSHA, Coal Mine Safety and Health
Safety Division

ATTENDEES: (Cont'd.)

Staff Members:

HARRY VERAKIS
Senior Projects Engineer
MSHA Technical Support

MARK SCHULTZ
Chief, Environmental Assessment and Contaminant
Control Branch
Dust Division
MSHA Technical Support
Pittsburgh Safety and Health Technology Center

HAZEL HAYCRAFT
Management and Program Analyst
MSHA Technical Support

ROBERT TIMKO
Manager, Monitoring Team
NIOSH

MIKE HOCKENBERRY
Fire Protection Engineer
MSHA Technical Support

ROSALYN FONTAINE
Program Analyst
MSHA Technical Support

DEBRA JANES
Regulatory Specialist
MSHA Office of Standards, Regulations and
Variances

1 101(c) petition where it requires methane sensors and
2 some other safeguards there along the belt, but they
3 do not use belt air when they're developing that two
4 entry. They do use the belt air on the longwall then.

5 The rule, as we talked about yesterday,
6 allows all mine operators the option of using belt air
7 as intake air and using the belt air at the face. As
8 of June 1, 2004, all granted petitions for
9 modification except those mines that use the two
10 entries were superseded by the rule.

11 One of the questions that came in that we
12 answered is who can be an AMS operator. There's a
13 definition section in 30 C.F.R. in 75.301 that defines
14 some of the various terms that are used. An AMS
15 operator is the designated person who's on the surface
16 and monitors the system and notifies appropriate
17 personnel in the event of a system alarm or system
18 malfunction.

19 The operator must be properly trained and
20 knowledgeable about the operation of the system in
21 order for this to operate properly and to get the
22 proper notifications. The AMS operator's performance
23 is critical if you're going to safely use belt air at
24 the face.

25 This AMS operator also must have a working

1 understanding of how the AMS system operates and how
2 it's integrated with the overall mining system. Like
3 I mentioned yesterday, the AMS system not only
4 monitors the CO on the belts, but it is used for a
5 mine-wide monitoring and can be used for a number of
6 functions at the coal mine -- weekly fan checks,
7 monitoring electrical installations, just a wide
8 number of uses for it, operate the belts, even operate
9 the longwall for that matter from outside the mine or
10 even possibly from your home.

11 If you have your connections through the
12 internet, the capability is there to actually turn
13 belts on and off by the mine manager from his house if
14 he wanted to do something like that. So it does have
15 a wide range of possibilities and uses, and I'm sure
16 new uses for it are discovered every day.

17 Appropriate personnel. Who's an appropriate
18 person? It could be different individuals. It
19 depends on what type of signal you get. The person
20 designated by the operator to perform specific tasks
21 in response to the AMS signal would be the appropriate
22 personnel and could be the responsible person as
23 outlined in 1502.

24 It could be a maintenance person. If you
25 get a signal for a malfunction, the appropriate person

1 to call would be maintenance personnel so they could
2 go to that location and effect the repairs.

3 What's a belt air course? It's the entry in
4 which a belt is located and any adjacent entry not
5 separated from the belt entry by permanent ventilation
6 controls. It includes any entries in series with the
7 belt and terminates at a return regulator, section
8 loading point or the surface.

9 The thing to remember is that the air course
10 may not always contain the belt, but it would still be
11 a belt air course because you may split off from the
12 belt air course. It's still considered a belt air
13 course for ventilation purposes until that air is
14 dumped in to the air, so it doesn't necessarily have
15 to have a belt in it to still be considered a belt air
16 course.

17 Carbon monoxide ambient levels. It's the
18 average concentration of carbon monoxide detected in
19 the air course. The average is representative of the
20 composition of the mine atmosphere over a period of
21 mining activity during non-fire conditions. You can
22 have separate ambients for different areas of the same
23 coal mine.

24 The folks at the mine must provide
25 sufficient data to MSHA and to the district manager so

1 that it can be evaluated and determined what a proper
2 ambient level might be. MSHA would expect that the
3 mine operator would at least have five consecutive
4 shifts worth of data in order to determine what
5 ambient level might be proper for a mine.

6 Five shifts or maybe more, depending on
7 conditions at the mine. This is on a mine-by-mine
8 basis, and you're taking into consideration various
9 conditions that you may run into at the different coal
10 mines.

11 Point feeds. We talked about that yesterday
12 also. What it is is the process of providing
13 additional intake air to the belt air course from
14 another intake air course through a regulator.
15 There's minimum air velocity requirements of 300 feet
16 per minute to be maintained through the point feed
17 regulator.

18 The use and location of point feeds must be
19 approved in the ventilation plan. Also there's
20 provisions in there for the point feeds like remote
21 closure of the regulators, position of the sensors,
22 where they need to be located.

23 We had that slide up yesterday. That shows
24 an example of a point feed, and the blown up portion
25 there on the right-hand side indicates sensors on the

1 intake and sensors on the belt that would indicate the
2 CO levels and shows the air through the regulator
3 mixing with the belt air and continuing on to the
4 face.

5 We had questions about how detection systems
6 and fire suppression systems would interact and how
7 they're treated in the rule. 75.350(a)(2) requires
8 that the air velocities be compatible with all fire
9 detection systems and fire suppression systems that
10 are used in the belt entry.

11 There was a number of tests done years ago
12 on fire suppression systems and on the CO systems, but
13 these tests, actual fire tests, were done with smaller
14 belts than what we have in operation now. I'm not
15 exactly sure what the size was. You know, 36 or 48
16 inch belts is what the testing is done on. Now
17 typically you see 60 and 72 inch belts.

18 You know, there may be an issue there of is
19 the fire suppression system adequate now with the
20 higher air velocities and with the larger belts that
21 are in use now.

22 Sensor spacings. It shows that sensor
23 spacings are 1,000 feet in areas where the velocity
24 exceeds 50 feet per minute. If you reduce below 50
25 feet per minute you reduce the sensor spacing to 350

1 feet. Testing has shown that that is effective for
2 the early detection of a fire.

3 Also, the testing indicates that five and 10
4 parts per million above ambient gives you an early
5 warning of a fire in velocities that are less than 500
6 feet per minute. If you have over that you have to
7 look at lower alert and alarm levels.

8 We do have mines that use the AMS systems in
9 lieu of point type sensors. We still have a lot of
10 mines out there that still use strictly point type
11 sensors also. The AMS systems and the CO sensors are
12 far superior to those point types.

13 We do have some plans out there that allow
14 for larger spacing, 2,000 foot spacings, and higher
15 alert and alarm levels, 10 and 15 parts per million,
16 but those are older versions, older plans.

17 As the plans come up for renewal, we are
18 requiring 1,000 foot spacings and five and 10 parts
19 per million in the new plans even in the mines that
20 aren't using belt air at the face also because of the
21 testing data that we have that shows the 1,000 foot
22 spacings and five and 10 parts per million are the
23 best solution for an early fire detection warning
24 system.

25 MR. MUCHO: Mike, let me interrupt you.

1 What do you mean by plan renewal?

2 MR. KALICH: Well, a new mine that opens has
3 to submit new plans. When we look at granting plans
4 for new mines we're looking at 1,000 foot spacings and
5 five and 10 parts per million for use of CO sensors.

6 MR. MUCHO: Okay. I see.

7 MR. KALICH: Yes. Alert and alarm levels,
8 ambient levels. For belt air, all alert and alarm
9 levels are five and 10 above the ambient unless the
10 district manager deems lower levels are necessary in
11 higher air velocities. The district manager may
12 require lower levels depending upon local mine
13 conditions. Also, use of diesel discriminating
14 sensors will reduce alert and alarms that are caused
15 by diesel equipment.

16 Time delays are also used to try to
17 eliminate non-fire related alert and alarm signals.
18 Time delays are permitted when a demonstrated need
19 exists and the delay is approved in the mine
20 ventilation plan. Determination of the length of time
21 delay is dependent upon conditions at the mine. In
22 any case, the maximum time delay is not to be more
23 than three minutes.

24 The mine operator, if they request a time
25 delay, must document what the peak concentrations of

1 CO are and the duration of any excursions that occur
2 over the alert and alarm levels. A length of time
3 delay is dependent upon the conditions of the mine and
4 determined on a mine-by-mine basis.

5 AMS sensors, examination testing,
6 calibrations. Some of the requirements of these are
7 they must be visually examined once each shift, a
8 record of hazardous conditions found must be kept, all
9 alarms functionally tested once every seven days.

10 A functional test requires calibration gas
11 to be applied to activate the alarms. Any other
12 method used must be equally effective. The AMS
13 operator must be notified prior to testing calibration
14 or alarm activation. The AMS operator must also
15 notify miners on any affected sections where the
16 alarms may be going off because of this calibration
17 and testing.

18 Calibration intervals are not to exceed 31
19 days. The calibration gas must be traceable to NIST
20 standards. Calibration gas must be within plus or
21 minus two percent of the indicated gas concentration,
22 and calibration gas and testing must be performed by
23 properly trained persons.

24 Some of the recordkeeping requirements. You
25 have computer printouts. Handwritten notations are

1 fine also. Some mines use preprinted forms,
2 electronic records. If it's an electronic record it
3 must not be susceptible to alteration. Well, any
4 record must not be susceptible to alteration.

5 Records must be kept separately from other
6 records and identified as the AMS log and record
7 retention for one year at a surface location at the
8 mine and made available for inspection by miners and
9 authorized representatives of the Secretary.

10 Actions in response to alarms. The AMS
11 operator must immediately respond to signals and
12 notify appropriate personnel. In addition, in the
13 event of an alarm from a single sensor or an alert
14 from two consecutive sensors the AMS operator must
15 immediately notify appropriate personnel, which may
16 include the responsible person.

17 Affected underground personnel must be
18 withdrawn to a safe location as identified in the
19 program of instruction required under 75.1501.

20 Actions must be appropriate for the type of signal
21 received.

22 There are a number of examples contained in
23 the compliance guide. I won't go over them here, but
24 they are in the handout. There's also a question and
25 answer section in that compliance guide with questions

1 that came in from the field from miners and mine
2 operators.

3 There's answers for those questions in that
4 compliance guide also, a total of 55 questions with
5 answers in there that I'm not going to go over here,
6 but they are available to you in that compliance
7 guide.

8 This was just an overview of what's
9 contained in that compliance guide, so if you have any
10 questions I'd be happy to try to answer them.

11 MR. MUCHO: Mike, could we go back to the
12 point feeding schematic you had up?

13 MR. KALICH: Sure.

14 MR. MUCHO: My question really relates to
15 the remote closing capability.

16 MR. KALICH: Okay.

17 MR. MUCHO: Where does MSHA view that that
18 would be actuated from, looking at that drawing?

19 MR. KALICH: Well, it doesn't have to be
20 automatic. What we envisioned was maybe a pulley type
21 of system where if you had to close the door, if you
22 had a fire on the belt or a fire on the intake, but I
23 think it was mainly for a fire on the belt, where
24 you'd have that cable over onto the intake side, and a
25 person could come up that intake entry, release the

1 cable and close the door.

2 MR. MUCHO: Aren't there two locations that
3 need to be provided for?

4 MR. KALICH: Of course, you could have a
5 system also that would be electrically operated, but
6 you'd have to have it where if the mine power went off
7 maybe some type of battery backup where you could
8 activate it remotely even.

9 There would be some other possibilities
10 where you could do that. The idea was to be able to
11 keep you in fresh air if you had to shut the door.

12 MR. MUCHO: I thought it was for putting a
13 vent on the intake where the concept was we didn't
14 want to contaminate the beltway as an escape.

15 If you had a course of fire in the beltway,
16 there's no reason the contaminants, other than leakage
17 potential, shouldn't come through the regulator --

18 MR. KALICH: Yes.

19 MR. MUCHO: -- and contaminate the intake.

20 MR. KALICH: That cabling system should be
21 outbye the regulator there in the belt entry then.

22 MR. MUCHO: But isn't there another one that
23 needs to be in the belt entry on the outbye side?

24 MALE VOICE: Yes.

25 MR. MUCHO: That's correct, correct?

1 MALE VOICE: Yes. There's actually one on
2 the belt side too.

3 MR. MUCHO: Right.

4 MR. KALICH: Yes.

5 MR. MUCHO: So where you have the two red
6 dots on that --

7 MR. KALICH: Yes.

8 MR. MUCHO: -- would be roughly where one
9 would think someone could activate the closing of the
10 door from?

11 MR. KALICH: Yes, that was the thought.

12 MR. MUCHO: You know, the other issue is one
13 of the common ways of point feeding would be to have
14 that regulator located say near the mouth of the
15 section just inby the belt usually take-up area and
16 actually fishtailing the air from the intake into the
17 belt entry.

18 MR. KALICH: Correct.

19 MR. MUCHO: Okay.

20 MR. KALICH: In that case I would envision
21 an automatic type of closure that might be
22 electrically operated/battery back-up type of thing
23 where you wouldn't have to be in the contaminated air.

24 I mean, there would be no possible way you
25 could close it manually and not be in contaminated

1 air. You're right.

2 MR. MUCHO: Where would it be located then
3 on that drawing?

4 MR. KALICH: Well, in that case you'd have
5 to have something over on the intake side if the
6 problem is on the belt. Of course, if the problem is
7 on the intake side, like I said, you'd have to have
8 something that would be automatically activated where
9 you could do it from -- you know, the AMS operator
10 outside could activate the door through the AMS
11 system.

12 MR. MUCHO: But again you mentioned earlier
13 the issue of if it is electrically operated, you have
14 an event and you lose power --

15 MR. KALICH: If you have an event, you're
16 most likely going to lose the mine power so you'd have
17 to have some type of battery back-up where it would
18 operate.

19 Well, you could have something that would be
20 air operated also similar to what we have in the
21 degassification systems where you run the tracer line,
22 something like that that would release the mechanism
23 and close the door.

24 MR. MUCHO: That's sort of what MSHA would
25 envision as to how it would be addressed by the

1 operators is through the monitoring system maybe with
2 some cellanoid system?

3 MR. KALICH: Right. Yes. If they had that
4 dog-leg like you mentioned, yes.

5 Yes?

6 DR. BRUNE: A question from my end. As a
7 mine operator, how do I gauge the impact of this air
8 change on a fire that is on the belt or maybe even in
9 another location in the mine?

10 If I have a fire in the mine and then effect
11 an air change by closing this regulator or this point
12 feed, how do I gauge the impact that that has on the
13 fire and on the fire gasses?

14 MR. KALICH: Well, what I would envision is
15 some ventilation studies done beforehand possibly to
16 see what type of effects you'd have by closing various
17 doors or effecting changes in the ventilation. You
18 could at least have an idea ahead of time then on what
19 might happen, what you would expect to happen at
20 least.

21 Of course, in a fire situation you never
22 really know what you're going to get with the heat and
23 the fire gases and things of that nature.

24 MR. KNEPP: You know, the committee thought
25 that is the last resort effort. It has to be. You

1 know, I'm not going to make that call. I think the
2 miners are going to have to make that call, the
3 foreman or somebody like that.

4 You know, if you have smoke blowing in on
5 you coming out of that belt that might help cut off
6 some of that smoke. It would just be for escape
7 purposes to give you more time, buy you more time to
8 get out of there probably. That's how we see that
9 utilized.

10 MR. KALICH: In the C.F.R., anything over
11 9,000 cfm is in effect an air change, but in an
12 emergency situation like that I would expect the mine
13 to either be evacuated already or in the process of
14 being evacuated. The power would be removed.

15 You know, like Bill said, that would just be
16 a last resort type of thing if you had some folks inby
17 that area where you'd need to close that door.

18 DR. WEEKS: When these systems were first
19 put in there were a number of false alarms that were a
20 chronic problem. Some of those at least were related
21 to diesel equipment.

22 Could you give a kind of very brief
23 discussion of what's the source of false alarms and
24 what's the solution? Have they been brought under
25 control, or is it still a problem in some fashion?

1 What's going on?

2 MR. KALICH: Well, I hate to call them false
3 alarms because they're really CO, but non-fire related
4 false alarms.

5 DR. WEEKS: Yes. That's what I mean.

6 MR. KALICH: Yes. That might be a better
7 term.

8 I think with the progress that we've made,
9 and the folks at the mine are familiar with the
10 systems now and have a better handle on the
11 installation and maintenance. I believe the false
12 alarms or the non-fire related alarms have been
13 mitigated over the years. I don't believe we have
14 that many at the present time.

15 I mean, we still have them. Of course,
16 cutting and welding is going to result in an alert or
17 an alarm, but in those instances the folks that are
18 doing the maintenance work, the cutting and the
19 welding, are required to call that AMS operator and
20 required to call the section, you know, and let them
21 know that they're out there cutting and welding and to
22 expect an alarm, tell them where they're at, and then
23 when you do get the alarm you still check it out, but
24 you know that it's most likely related to the cutting
25 and welding.

1 DR. WEEKS: So there still are some of these
2 alarms?

3 MR. KALICH: Oh, sure.

4 DR. WEEKS: Yes.

5 MR. KALICH: Yes.

6 DR. WEEKS: On the diesel discriminator,
7 what exactly does it detect? What does it look for in
8 addition to the CO from the diesel?

9 MR. KALICH: The diesel discriminating
10 sensors measure -- I'm not exactly sure what gas it's
11 looking for off that diesel, but what it does is it
12 compares the combustion gases from the diesel to the
13 CO and discounts the gas that would be generated from
14 a diesel engine. That's how it discriminates against
15 an actual fire and the diesel equipment.

16 DR. WEEKS: You know, Francart is an expert
17 on that.

18 MR. KALICH: As far as the inner workings of
19 it, I'd defer to someone else.

20 MR. FRANCAART: Yes. The sensor detects both
21 CO and NO, and it determines a basic correlation
22 between those gases for normal operation, and then it
23 does distinguish between that ratio. When it detects
24 CO without NO then it detects a fire. We found that
25 to be very effective.

1 DR. WEEKS: Okay. And that's a reliable
2 mark of diesel exhaust?

3 MR. FRANCAERT: Yes.

4 MR. MUCHO: Bill, the number of mines using
5 that detector is very limited. Is that right?

6 MR. FRANCAERT: Yes. Mainly in the western
7 United States.

8 DR. WEEKS: Is that required under the regs
9 if you have diesel equipment that you have a diesel
10 discriminator?

11 MR. KALICH: No, it's not required.
12 Naturally we encourage that to eliminate these non-
13 fire related alarms, but no, it's not a requirement.

14 DR. WEEKS: I've got another question, and
15 it's out of plain ignorance. I mean, ventilation is
16 really not my area of expertise.

17 It would seem to me that in one belt entry
18 that has a higher air velocity compared to another
19 there's going to be a greater dilution of CO. You've
20 got the same fire in one entry as you have in another
21 entry, but you get a lower CO reading because of the
22 higher air velocity. It would seem to me it would
23 detect that CO at a later development in the fire.

24 Is the alert and alarm level adjusted for
25 that in any fashion? I mean, how do you deal with

1 that problem?

2 MR. KALICH: You're exactly right with what
3 you're saying. We're looking at velocities over 500
4 feet per minute that we'll adjust the alert and alarm
5 levels, but for the lower velocities, no. There's
6 really no adjustment for it.

7 Bill might be able to speak more to that
8 than I, but I know when this testing was done we
9 looked at a certain timeframe that you'd want to catch
10 the fire in its early stages and the amount of time it
11 takes for the CO to reach a sensor.

12 In a higher velocity, though, the CO is
13 going to get there faster. In a lower velocity, the
14 CO is not going to get there as fast. Of course, in a
15 higher velocity it's going to dilute it also.

16 DR. WEEKS: Right.

17 MR. KALICH: At those low levels, at that
18 five and 10 parts per million level, the fire is in
19 such an early stage that we feel that that is a built-
20 in safety factor there.

21 MR. KNEPP: Yes, I think that's a good
22 answer right there. I think the numbers are low
23 enough that in normal velocities, and, like Mike said,
24 there are some advantages and disadvantages. With
25 more air, the quicker it gets to the sensor.

1 I think the testing has shown that at that
2 low level, five parts per million, you're going to
3 detect it unless you have just extremely high
4 velocities and quantities. If that's the case, again
5 through the ventilation plan we can do several things
6 as far as dropping the alert and alarm levels and/or
7 sensor spacing, even though that wouldn't be a big
8 advantage in real high velocity.

9 DR. WEEKS: Real high velocity is? What are
10 we talking about here? Five hundred feet per minute?

11 MR. KALICH: Over 500, Bill? A thousand at
12 the most?

13 MR. KNEPP: We don't feel that's a really
14 big issue. I think we feel the sensors have proven
15 they'll work and give you plenty of time to react to a
16 heating before it becomes a real issue.

17 MR. KALICH: Yes?

18 DR. BRUNE: One more question. What is the
19 rationale, Bill, behind the requirement of 300 feet
20 per minute measured inside the point feed regulator?

21 MR. KALICH: The rationale behind that was
22 that we felt that that would be a sufficient air
23 velocity to keep the contaminants from coming out of
24 the belt and getting into the intake.

25 DR. WEEKS: But you didn't just pluck it out

1 of thin air.

2 MR. KALICH: No. There was testing done on
3 that naturally, yes.

4 DR. WEEKS: You plucked it out of polluted
5 air.

6 MR. KALICH: Out of polluted air. Various
7 tests were run to see what air velocities would be
8 sufficient to keep contaminants from backing out in a
9 fire condition, and 300 feet per minute was a good
10 number with some built-in safety factor to it.

11 MR. KNEPP: That's correct. That's not
12 totally guaranteed, of course, obviously. Like I
13 said, in a major fire, you know, who knows from a
14 ventilation standpoint what might occur.

15 Again, the thinking was it would buy time
16 for your intake escapeway to stay clear and get out of
17 there. Then you have the door option also.

18 Are you familiar with the specific testing
19 that was done?

20 MR. FRANCCART: There were some studies done
21 by Jay Hadden years ago and the calculations done by
22 Don Mitchell for a smoke rollback that we counted on
23 to develop that 300 feet per minute threshold.

24 DR. TIEN: Bill and Bill, what's your
25 experience in terms of the average range of air

1 velocity in belt entries for the mines you have seen?

2 MR. KNEPP: I'd have to say more like 50
3 feet to 300 feet a minute.

4 DR. TIEN: Okay. So for most of the mines
5 around the lower end rather than the higher end?

6 MR. KNEPP: Yes. Yes.

7 MR. KALICH: I've done a lot of inspection
8 work in my time with MSHA. You know, I've found
9 probably more problems with lower air velocities than
10 the higher air velocities.

11 I'd say in mines that are using the belt air
12 at the face probably 100 to 300 feet a minute.
13 Somewhere in that neighborhood would probably be a
14 good ballpark number. I don't see very many that have
15 the extremely high velocities, but there are a few
16 that have that.

17 MR. KNEPP: I think rarely extremely high
18 velocities occur in restricted areas. In an overcast
19 or something you may have I think there was an issue
20 where there was an extremely high velocity and we were
21 concerned how the fire suppression system and the
22 sensors I think would react.

23 MR. KALICH: Yes?

24 DR. WEEKS: Could you say some more about
25 how the ambient CO level is determined? I mean, is

1 that an average? Is that a shift average, or is it
2 over a shorter time period?

3 MR. KALICH: What we looked at was our
4 thought was at least five shifts worth of data and
5 look at the ambient CO levels during that five shifts
6 and try to come up with an average level. We wouldn't
7 consider one shift worth of data really valid to base
8 a decision on.

9 DR. WEEKS: But is it time-weighted?

10 MR. KALICH: We'd like to see more.

11 DR. WEEKS: Yes. Is it a time-weighted
12 average over the whole shift, or is it over shorter
13 time intervals?

14 MR. KALICH: It would be a time-weighted
15 average over the shift.

16 DR. WEEKS: Because the AMS, I don't know
17 what the time sequence is or what time intervals it
18 looks at.

19 MR. KALICH: Of course, you wouldn't want to
20 count diesel in short duration excursions caused by
21 diesel equipment into your ambient. You know, you can
22 take care of that with a time delay. You'd want to
23 average it out over a long time period to see what
24 your actual ambient levels are.

25 I mean, we have mines that have some ambient

1 levels at 10, 15 parts per million even without diesel
2 equipment being operated. You know, out west I know,
3 Bill, there maybe are even some higher ambients.

4 DR. WEEKS: What's the source for that?

5 MR. KALICH: Inherent.

6 MR. KNEPP: Inherent diesel equipment that's
7 run 24 hours a day lingering there. It gets pretty
8 consistent. You know, you'll get a feel after a
9 week's study. There's a history there for even MSHA.
10 We have our own inspectors. We have a good feel for
11 what it ought to be.

12 They do track this diesel equipment, and
13 they'll have spikes sometimes. You'll see them right
14 on the sensor. That's where the time delays come in
15 play. They're on top of that, the AMS operator, and
16 they'll notify.

17 Then you combine that with some of them use
18 the technology of the diesel discriminating sensors
19 where you get the ratio, the NO and CO. That's
20 another means to make sure that it's not masked.

21 MR. KALICH: Let me add that the vast
22 majority of mines that I've inspected and I look at
23 and that I'm familiar with across the country have
24 either zero or maybe one or two parts per million
25 ambients, so not to lead you to think that there's a

1 lot of mines out there with high ambient levels. The
2 vast majority of the mines have zero or maybe one or
3 two parts per million at the most.

4 DR. TIEN: Just a personal curiosity. For
5 the mines you have seen, most of the mines you have
6 seen are the blowing system or exhaust system? I know
7 that's an age-old question.

8 MR. KALICH: Both. I mean, a lot of the
9 mines that are going in lately at least in my
10 estimation have been more toward the blowing
11 ventilation systems.

12 Of course, throughout my career I'm more
13 familiar with the exhausting ventilation systems. The
14 mines that I've worked in and the larger mines that
15 I've inspected in northern West Virginia were all
16 exhaust system mines.

17 Lately there's been more of a trend toward a
18 blowing system. As far as percentage, I wouldn't want
19 to hazard a guess just off the top of my head of which
20 is more prevalent.

21 DR. TIEN: Do you have any personal
22 preference? I don't mean to put you on the spot.

23 MR. KALICH: Seeing as how most of my career
24 was with exhausting, I'll say exhausting.

25 DR. TIEN: Okay.

1 DR. WEEKS: The AMS operator has the
2 responsibility for the recordkeeping? That's right?

3 MR. KALICH: Well, the operator of the mine
4 ultimately has the responsibility for all the
5 recordkeeping.

6 DR. WEEKS: Right. Are those records kept
7 at the mine, or do they report it to the MSHA district
8 office or to Arlington?

9 MR. KALICH: No. They're kept at the mine.

10 DR. WEEKS: At the mine. So if we wanted to
11 look at them we'd have to get them from the mine?

12 MR. KALICH: Yes.

13 DR. WEEKS: Okay. I think it would be
14 useful to look at them. I don't know how to get a
15 hold of them.

16 MALE VOICE: We can help you.

17 MS. ZEILER: We can try to get that for you.
18 Any other questions for Mike?

19 (No response.)

20 MS. ZEILER: Okay. Thanks, Mike.

21 We're going to make a minor adjustment to
22 the agenda in order to complete the topic of belt air
23 issues and ask Mark Schultz to come up. He's a
24 Supervisory Mining Engineer in Tech Support, and he's
25 going to cover the health aspects of the use of belt

1 air.

2 I also want to remind everybody to please
3 sign in in the back if you haven't already. Thanks.

4 MR. SCHULTZ: Good morning, everybody.
5 Again, my name is Mark Schultz, and my technical title
6 is Chief of the Environmental Assessment and
7 Contaminant Control Branch, which is part of the Dust
8 Division, which is part of Tech Support, Pittsburgh
9 Safety and Health Technology Center. As everybody
10 knows, we're located outside of Pittsburgh,
11 Pennsylvania.

12 I've got a fancy title name there, but
13 everybody knows me as the chief of the branch for the
14 field group. Basically as the field group we'll go
15 out and help Enforcement if they have any problems
16 with compliance. We'll go to the mines, take a look
17 at the dust control problems that they have, the
18 controls that they're using, and we'll make
19 recommendations on what they can do to try to get into
20 compliance.

21 We'll also go out and take a look at new
22 technologies being used in the mines, and we'll try
23 and disseminate that information to the other mines if
24 we think that information can help them reduce their
25 dust concentrations.

1 I've been asked to come and talk about the
2 health effects of utilizing belt air in underground
3 coal mines and, more specifically, what are the
4 effects of dust concentrations when utilizing belt air
5 to ventilate the working face.

6 The current dust standard is 71.100, and it
7 states that each operator shall continuously maintain
8 the average concentration of respirable dust in the
9 mine atmosphere in each shift to which each miner in
10 the active workings is exposed at or below the 2.0
11 milligram standard.

12 Now, these next couple slides are real
13 basic. Part of my job in the Dust Division, I go out
14 and give some workshops on dust control to basically
15 the mine operators and the miners themselves. These
16 are a couple of the slides from there. They're very
17 basic, but they do have a very good point to them so
18 that's why I want to go over those.

19 Mine ventilation is used to dilute and
20 render harmless. Everybody realizes it's used to
21 dilute and render harmless all noxious gases.
22 Everybody knows that it dilutes your methane for you,
23 but everybody kind of forgets it's also used to dilute
24 and render harmless all mine dusts.

25 Dust concentrations are inversely

1 proportional to your air quantity. If you double your
2 air quantity, your concentration is cut in half. N
3 times your air quantity gives you $1/N$, gives you half
4 your concentration. That's the formula for it. There
5 if you plug into that formula N is equal to, you
6 double your quantity and you cut your concentration.
7 It's now one-half. The purpose of those slides is to
8 reemphasize that dilution is a very powerful tool used
9 in dust control.

10 I've been asked to give a little bit of
11 background history of what the Advisory Committee did
12 before. I wasn't around. Basically in the early
13 1990s I was still working for Consolidation Coal
14 Company, but back then the Advisory Committee was
15 asked to look at belt air. They were looking at the
16 health effects, and they came up with three major
17 concerns of using belt air at the face. These were
18 health related concerns.

19 Now, to address those concerns they brought
20 them up to MSHA, and Bob Haney basically went out and
21 they started a spot inspection program. They went out
22 throughout the mines to try to get some data to try to
23 help answer those questions.

24 In the early 1990s -- I think it was 1991 --
25 Bob Haney gave a presentation similar to this one to

1 the Belt Air Advisory Committee, and he gave the
2 results of those studies. We'll go over that study
3 here in a second.

4 He issued a paper, and the paper was titled
5 The Effect of Belt Air on Dust Levels in Underground
6 Coal Mines. Basically in that paper he goes over the
7 spot inspection program they did, the data they had,
8 and he also gave some of the conclusions to the Belt
9 Air Advisory Committee that they had on the health
10 effects of using the belt air at the face.

11 In this paper Mr. Haney stated that the Belt
12 Air Advisory Committee concluded that the use of belt
13 air could increase or decrease dust levels. However,
14 the change would not have a significant impact on face
15 worker dust exposures.

16 The committee further recommended that a
17 designated area with a 1.0 mg/m₃ standard be
18 established when belt air is to be used at the face.
19 Basically we have that in the current standard. I
20 think it's 75.371 where we have that standard in there
21 right now. This designated area would be in the belt
22 area; just outbye the section tailpiece.

23 The reason why they had to add this is that
24 we did have for intake air at 7100(b) which states
25 that each operator shall continuously maintain the

1 average concentration of respirable dust within 200
2 feet outbye the working faces of each section in the
3 intake airways at or below 1.0 mg/m₃.

4 Now, that is pretty specific. It's saying
5 200 feet outbye. When you get to section tailpieces
6 they can be 400, 500, 600 feet outbye, so we wouldn't
7 be able to apply 7100 so that's why they had to
8 mandate a designated area just outbye the section
9 tailpiece.

10 Like I mentioned before, the Advisory
11 Committee addressed three specific health-related
12 concerns as far as using belt air at the face. These
13 were the concerns:

14 The first one was the effect on the intake
15 dust levels when belt air was used at the face, the
16 second concern was the effect on worker exposure when
17 belt air is used at the face, and the third concern
18 was the potential entrainment of dust in the belt
19 entry.

20 Again, as I said, MSHA conducted this spot
21 inspection program. It was conducted from August
22 through September 1991, and the purpose of the spot
23 inspection program was to assess actual dust levels
24 and extended dust controls that were being used in the
25 mining industry.

1 Let's get to each one of these major
2 concerns and what kind of information we got from the
3 spot inspection program. The first concern was what
4 effect does belt air have on the intake dust levels
5 when belt air is used to ventilate the face.

6 Looking at the results of the spot
7 inspection program, they looked at the intake dust
8 concentrations and they found that when belt air was
9 being used at the face the intake dust concentrations
10 were 0.18 mg/m₃ higher on continuous mine sections.

11 When they looked at that same data for the
12 longwall sections they found that the intake dust
13 concentrations were 0.12 mg/m₃ higher on the longwall
14 sections, and that's a combined intake.

15 During the spot inspection program they
16 wanted to further look at the longwalls, so at the
17 longwalls they surveyed six longwalls. All of these
18 longwalls used belt air to ventilate the face.

19 One of the reasons why they wanted to look
20 at the longwalls, they figured if any belt has more
21 dust on it it's going to be the longwall belt because
22 you have more tonnage there. It's a worst case
23 scenario.

24 When they looked at these six longwalls, the
25 intake dust concentrations ranged from 0.1 to 0.4

1 mg/m₃. The belt intake air had concentrations, and
2 they ranged from 0.4 to 1.2 mg/m₃. Combining the two
3 intakes, the belt and the regular intake, you had a
4 combined intake concentration that ranged from 0.1 to
5 0.5 mg/m₃, and that's a weighted average to come up
6 with those numbers.

7 Yes, sir?

8 DR. MUTMANSKY: Yes, Mark. Would you go
9 back to the last slide? I just wanted to ask a
10 question about the last slide.

11 In this particular case where you were
12 looking at these dust concentrations did the data take
13 into account any other variables? Just because the
14 dust concentrations, for example, are 0.18 milligrams
15 higher on continuous miner sections, those may have
16 been dustier mines.

17 Did the data take into account that kind of
18 a situation?

19 MR. SCHULTZ: No, I don't think it really
20 took that into account. It just did a survey of some
21 mines, and this is the data that came from them.

22 DR. MUTMANSKY: Yes, sir. Good. Thank you.

23 MR. SCHULTZ: Yes?

24 DR. WEEKS: I've got a question on that
25 slide also. It's not clear to me. When you talk

1 about higher, higher than what?

2 MR. SCHULTZ: Basically if you took an
3 average of what the intakes were at the mines that use
4 belt air and you compare that to the mine that didn't
5 use belt air at the face, the intakes we were
6 averaging were that much higher. That's just like an
7 average of all the mines that were surveyed.

8 I'm not sure what the number was in that.
9 Basically this work was all done in 1991, and I wasn't
10 around at that time. Trying to look for all that data
11 we found some graphs and that, but I can't find much
12 of it.

13 DR. WEEKS: Haney is still around.

14 MR. SCHULTZ: Yes, but he's retired.

15 DR. WEEKS: I know.

16 MR. SCHULTZ: We do know Bob. If we need to
17 we can try to get more information from Bob and talk
18 to him about that.

19 DR. WEEKS: Okay. Thanks, Mark. These are
20 section intakes, right?

21 MR. SCHULTZ: Yes.

22 DR. WEEKS: And that's right as he's going
23 to the face.

24 MR. SCHULTZ: Right. The intakes would be
25 taken 200 feet outbye, like I said, just like we would

1 for enforcement. That's where we measured that.

2 Like I said, for the belt air coming up the
3 face we would measure that just outbye the section
4 tailpiece or the stage loader. It basically depends
5 on where we would take it in the block outbye the last
6 open crosscut, and the stage loader is approaching the
7 last open crosscut.

8 DR. WEEKS: Thanks, Mark.

9 MR. SCHULTZ: Yes.

10 MR. MUCHO: But in this case this is the
11 total intake mixing if belt air is being used,
12 correct?

13 MR. SCHULTZ: Right.

14 MR. MUCHO: Because, I mean, there's no
15 reason for the intakes to be higher if that was not
16 the case.

17 MR. SCHULTZ: Right. The reason why it's
18 increasing is because of that mixture.

19 MR. MUCHO: Right.

20 MR. SCHULTZ: Again, like I said, we looked
21 at six longwalls. The intake dust concentration
22 ranged. It started at .1 to .4 mg/m³. The belt intake
23 had concentrations. They ranged from .4 to 1.2 mg/m³,
24 so the one mine actually was out of compliance with
25 what we measured there.

1 The combined intake concentrations, like I
2 said, the weighted average ranged from 0.1 to 0.5
3 mg/m³. When you look at these concentrations, the belt
4 concentrations, what they were contributing to the
5 face exposures, you do the math there. It comes that
6 they were contributing .1 to .3 mg/m³ of face dust
7 levels to the face dust levels.

8 We further looked at these longwalls, and
9 they wanted to know where were the dust sources for
10 these longwalls. Again, like I said, the intake air
11 was contributing the .1 to .4 milligrams. The belt
12 air, because of its lower air quantity, was only
13 delivering .1 to .3 mg/m³ to the face dust levels. The
14 combined intake again was given .1 to .5 mg/m³ to the
15 face dust levels.

16 They put pumps inby and outbye the crusher,
17 the stage loader crusher or stage loader in this case,
18 and what they found was that it was contributing 0.5
19 to 1.3 mg/m³ of dust.

20 They also looked at I think it was the No.
21 10 shield down to the tailwind and compared the dust
22 concentration there. They found the face was
23 contributing 1.8 to 11.3 mg/m³. That dust would have
24 been from the shearer cutting the coal, from moving
25 the shields, from movement of the shields, from

1 movement of the coal in the pan line and other sources
2 such as that.

3 The committee's conclusion after looking at
4 that was that belt air was not a significant dust
5 source on the longwall compared to other face dust
6 sources.

7 There's a recent NIOSH publication, and it's
8 titled Dust Control on Longwalls - Assessment of the
9 State-of-the-Art. I think they talked about it a
10 little bit yesterday. It's by J.P. Rider and J.F.
11 Colinet, and it did a similar study. It studied eight
12 longwalls.

13 Four of these used belt air as intake air
14 and four ventilated the belt air to the return. This
15 survey showed that the intake air, when belt air was
16 being used at the face, averaged $.18 \text{ mg/m}^3$. The belt
17 air was averaging 0.4 mg/m^3 . They didn't give a
18 weighted average on that.

19 They compared that to when the belt was
20 being used as a return air, and they gave the highest
21 number that they found on the intake at that time was
22 a $.34$ milligram, but most of the mines, I guess the
23 other three, were below $.20 \text{ mg/m}^3$.

24 This paper concluded that although the
25 average dust levels in the belt entry are relatively

1 low, the belt entry has the potential to add to face
2 dust levels. However, according to past research
3 studies, and that was Potts and Jankowski in 1992, the
4 potential increase in the face dust levels seemed to
5 be negated by the potential for the increased dilution
6 with the additional air reaching the face.

7 Now we'll go to the second concern that they
8 had. The second concern was the effect on worker dust
9 exposure when belt air is used to ventilate the face.
10 With a spot inspection program this is pretty simple.
11 All they want to do is look at the designated
12 occupations on the section. They're supposed to be
13 the high risk people, the highest dust concentrations
14 on the section.

15 They sampled these people and tried to
16 determine whether they had higher concentrations or
17 not when belt air was used at the face. The results
18 of this showed that the designated occupation dust
19 concentrations on the continuous miner sections were
20 0.64 mg/m³ lower on the continuous miner sections.

21 The designated occupation concentration on
22 the longwall sections were 0.33 mg/m³ lower. Although
23 the intake dust concentrations increased when using
24 air to ventilate the faces, the additional air helped
25 to dilute the designated operators' dust exposures.

1 DR. WEEKS: Not to belabor the question, but
2 again lower than what?

3 MR. SCHULTZ: Comparing --

4 DR. WEEKS: The belt air to non-belt air?

5 MR. SCHULTZ: To non-belt air.

6 DR. WEEKS: Sorry.

7 MR. SCHULTZ: This was just an average
8 comparing the two.

9 DR. WEEKS: One set of mines to another?

10 MR. SCHULTZ: Yes, sir. Like I said, I
11 don't know the database, how many mines this was or
12 whatever. It's basically the data that they used at
13 the previous Belt Air Advisory Committee.

14 DR. WEEKS: Well, there's just a high
15 variation between mines anyway.

16 MR. SCHULTZ: Right. Everything is site
17 specific. You can go to every section. Those
18 sections relate.

19 The third question they looked at was the
20 entrainment and re-entrainment of dust in the belt
21 entries. Of course, the entrainment of dust occurs
22 during the cutting, crushing and breaking of material.
23 Re-entrainment occurs when dust that has been
24 initially suspended settles and then become airborne
25 dust again.

1 Again, a longwall belt was chosen to look at
2 this because it represented a worst case scenario.
3 They had the higher tonnages and the higher belt
4 speeds. For this study they looked at two longwall
5 belts. Each longwall belt was approximately 2,000
6 feet long. They looked at the inby and outbye dust
7 concentrations along the belt line.

8 They had relative velocities of 750 to 900
9 feet per minute. The belt speed, I made a mistake
10 there. That's 625 feet per minute, not 825.
11 Basically the relative speeds were the 750 to 940.
12 Air velocities were 127 and 317 feet per minute in
13 these studies.

14 The results of these studies concluded that
15 they were getting about a .1 to .2 milligram increase
16 in that 2,000 foot belt. They also looked at dust
17 levels on the outbye sources of these belts, and what
18 they found with this was that the outbye dust sources
19 were much higher contributors to the dust. They were
20 getting 0.8 to 1.0 milligrams. These typically were
21 coming from belt transfers, and I should also have had
22 box checks in there.

23 What they said is whenever you go through
24 any type of air lock or box checks on the belts you're
25 creating your high velocities, and you're creating a

1 lot of dust there. These studies indicated that the
2 belt air dust sources were primarily due to outbye
3 transfer points. Re-entrainment was not a significant
4 dust source.

5 After the Advisory Committee looked at these
6 data and that they came to four conclusions. These
7 are the four conclusions that they came to. The first
8 one is the use of belt air will generally cause the
9 combined intake dust level to increase. If the belt
10 air concentration is greater than the intake air
11 concentration, the combined intake will increase.
12 This increase, however, should not have a significant
13 impact on the mine's ability to meet the 1.0 mg/m³ dust
14 intake standard.

15 The second finding was that the use of belt
16 air could increase or decrease exposure at the face
17 depending on the specific section's dust control and
18 ventilation configuration. Any increase would not
19 exceed the increase in the combined intake dust
20 concentration.

21 What they're saying there is when you looked
22 at your combined intake, if your regular intake came
23 in at a .1 and your belt had a .5 milligram on it and
24 the combined came in at a .2 that that increase of the
25 combined over the intake, that .2 minus .1, is a .1

1 increase. They're saying that they don't think that
2 the face levels should exceed the increase by any
3 more than that .1, what the increase in the combined
4 intake is.

5 Yes, Jan?

6 DR. MUTMANSKY: Mark, in this Advisory
7 summary they're comparing belt air concentration with
8 the intake air concentration. It really should be
9 compared with what you would normally see on the face
10 because the conclusion that they come to is true, but
11 it is more important to consider whether or not it
12 would increase the concentration at the working face.

13 Do they have an auxiliary summary that makes
14 a conclusion about that?

15 MR. SCHULTZ: No. I agree with what you're
16 saying really. I don't know if I completely agree
17 with this finding here because I think the way various
18 sections are, I mean, at the working face you could
19 actually get more of that air to ventilate at a
20 specific time.

21 I can't say that the combined intake is what
22 the average is going to be up there all the time
23 because I know a lot of situations, especially in
24 three entry and stuff like that, you may be getting
25 more of that belt air to ventilate that working face

1 if they're mining right up there.

2 As far as any data there, I don't have any
3 more.

4 DR. MUTMANSKY: Okay. Thank you.

5 MR. SCHULTZ: I think -- is this the third
6 or fourth one -- either the third or the final
7 conclusion is that the air velocities that result when
8 belt air is used to ventilate the face will typically
9 not be high enough to cause entrainment of dust in the
10 belt entry.

11 Additionally, the removal of box checks
12 would remove restrictions that cause localized high
13 velocities. This should reduce the amount of dust
14 entrainment taking place in the belt entry.

15 Yes, Jurgen?

16 DR. BRUNE: How can you ventilate the belt I
17 guess away from the face? I guess to the face you
18 won't need a box check, but away from the face you
19 will need a box check.

20 MR. SCHULTZ: Typically you're regulating
21 that air, the force across the face, so you regulate
22 the box check that way.

23 DR. BRUNE: So you could not normally remove
24 a box check without checking the air direction on the
25 belt?

1 MR. SCHULTZ: Yes. Basically you need the
2 box checks when you ventilate to return air to
3 restrict that.

4 DR. BRUNE: Right. The point I'm making is
5 removal of a box check is not generally an option.

6 MR. SCHULTZ: Right. Yes, unless you're
7 using belt air at the face because then you won't need
8 it.

9 Okay. The last finding it had, if an
10 increased entry air velocity is caused by restriction
11 dust levels as a result of the entrainment can
12 increase. If increased entry velocity results from an
13 increase in the air quantity, the dilution compensates
14 for the entrainment and dust levels would not
15 significantly change. The added airflow could then
16 provide additional dilution of dust generated in the
17 face areas.

18 These findings, these were basically their
19 findings back in 1991-1992, whenever that came out.
20 Are there any changes now? If you look at our belt
21 lines today, the belts, they're definitely handling a
22 lot more coal. The belt speeds are probably
23 increasing. Belt lines are longer. The belts are
24 wider.

25 We probably have a little bit higher air

1 quantities in the belts right now, and that's probably
2 due because we have increased panel lengths, and we
3 also probably need more airflow to control methane in
4 some locations of these mines.

5 As part of the field group, I was only given
6 a few days to try to prepare for this. I was trying
7 to think what kind of data do we have to tell us
8 whether belt air is good or bad for us so far? I
9 really couldn't think of too much, but the main thing
10 I could do is take a look at our last field studies
11 that we've done.

12 I looked at our last reports that we've had
13 over the last few years. We've had 22 reports that
14 were issued, and one thing I'd like to say is when we
15 go out to mines typically we're going out to a mine
16 that is having trouble maintaining compliance, so it's
17 normally more of a problem mine. If there were intake
18 problems and stuff like that, dust concentrations, we
19 would probably see it because we'd probably get called
20 in to see it.

21 We looked at these 22 studies that we did,
22 and of these 22 studies only two mines were using belt
23 air at the face. The other 20 were using belt air as
24 return air. I looked at the averages on the 20 mines
25 that used belt air as return air. The average

1 designated occupation on those mines was 1.08 mg/m³,
2 and the average intake concentration was 0.08 mg/m³.

3 One thing I'd like to point out too here is
4 that when we go to the mines we're MSHA coming in.
5 We're coming in because we know they have a problem
6 and so they normally try to clean things up when we're
7 there also.

8 Again, we looked at two mines used belt air
9 at the face. One was a longwall, and one was a
10 continuous miner section. On this longwall our
11 concentrations, the designated occupation
12 concentration, was a 1.92 mg/m³.

13 The longwall intake had a 0.03 mg/m³, and the
14 longwall belt had an intake concentration of 0.14
15 mg/m³, so both of them were relatively clean air coming
16 up there. The combined intake was a 0.06 mg/m³.

17 The continuous miner section that we looked
18 at, it was not a problem mine. It was actually a new
19 technology mine. They were trying to use what we call
20 a reverse scrubber, actually directing the scrubber
21 air to the face and recirculating that air.

22 The continuous miner had a designated
23 occupation concentration of 1.31 mg/m³. The intake
24 concentration was a 0.63 mg/m³. If you look at the
25 belt intake concentration it was almost identical to

1 the intake. Again, it was 0.65 milligrams, and the
2 combined intake was a 0.63.

3 Typically when we look at those, as far as
4 my group we would say that you have to take a look at
5 both that intake and the belt and lower those
6 concentrations. Typically if we're above a .5 we're
7 looking for dust sources in there. Even though the
8 standard is 1.0, we say if it's above a .5 they have
9 some problems in there.

10 Basically when we look at our data we can't
11 find any problems at least with what we had there with
12 using belt air at the face where it's causing any
13 exposure problems.

14 In summary, I think we still agree with the
15 previous Advisory Committee's finding. Belt dust
16 control technology exists that can control and reduce
17 the dust concentrations in the belt entries.

18 Additional air to the working face can help
19 to dilute dust that is generated and to lower the
20 personal dust exposures, and the designated area which
21 is mandated helps assure the belt line dust
22 concentrations are being controlled.

23 Yes, Tom?

24 MR. MUCHO: A couple of things, Mark.

25 MR. SCHULTZ: Sure.

1 MR. MUCHO: When you went through the
2 changes since 1992 and the higher tonnages and so
3 forth and so on, and your last slide kind of indicates
4 this a little bit.

5 It's my observation that one of the more
6 major, significant advances in technologies has been
7 belt line dust control in the last 15 years since they
8 did this. Belt wipers, controls of sprays, controls
9 of transfer points, enclosing of those kinds of areas
10 and so forth has been a rather major advancement since
11 my days back before that.

12 Does MSHA sort of agree with that, or do you
13 want to comment on that?

14 MR. SCHULTZ: Yes.

15 MR. MUCHO: Does MSHA see that there have
16 been major advancements in the dust control problem?

17 MR. SCHULTZ: Yes. Without a doubt there
18 has been improvement all over in dust control.

19 The problem we have is we also have the
20 increased tonnages too, and normally dust
21 concentrations are also proportional to the tonnages.
22 You increase that tonnage, and you're getting higher
23 dust concentrations.

24 There has been a lot of improvement. I know
25 from when I worked in the mines to what they're doing

1 now there's a world of improvement.

2 MR. MUCHO: That's the tonnages that
3 provides the motivation for those technological
4 improvements.

5 MR. SCHULTZ: Right.

6 MR. MUCHO: Okay. The other point is when
7 we look at these things and talk about mixing these
8 belt airs and intake airs and so forth, the whole
9 thing really comes down to a mixing problem, and it's
10 based on the ratio of the intake air to the belt air.

11 The contaminants actually applies to dust or
12 applies to methane or whatever contaminants you want
13 to look at. It's strictly a ratio problem of what's
14 the percentage of contaminants in the intake, what's
15 the percentage of contaminants in the belt entry and
16 what is my ratio between belt air and that other
17 intake air.

18 MR. SCHULTZ: Right.

19 MR. MUCHO: What I get is a result of that
20 ratio. The answer I get in terms of whether it's
21 helping me or hurting me is based on that ratio, yet
22 we see nothing in the belt air rule that seems to be
23 looking at that what I would consider to be a fairly
24 critical parameter other than we have the 50 percent
25 maximum on the belt line, which is really more aimed

1 at the pressurization issue so that the belt is the
2 more pressurized airway.

3 Was there any consideration given to that
4 that you know of as to trying to look at that and
5 controlling it from that aspect?

6 MR. SCHULTZ: I don't think we ever looked
7 at the ratio itself. One thing that goes with that,
8 though, is the quantity of air too. Like I said, if
9 you had an intake coming up there at 1.5 milligrams
10 and you had enough air, you would dilute that because
11 you have a dilution capacity.

12 MR. MUCHO: That's what I'm saying. It's
13 those quantities, and the ratio of those quantities
14 results in the answer.

15 MR. SCHULTZ: Right. Like I said, I think
16 the quantity is just as important with that too as the
17 amount of air going up air.

18 DR. WEEKS: I also have some questions on
19 dust control on belts. I was surprised when you and
20 others have talked about the principal source of dust
21 on belt entries. There are specific dust sources --
22 transfer points, for example -- but when you look at
23 the data I don't see that that's measured in any way.

24 You know, you could get a lower dust
25 concentration on a belt line because there's better

1 control of the principal dust sources on the belt, and
2 you need to look at that. I guess what I would like
3 to see is some real observation and consideration of
4 dust control sources on belt lines. What are they?
5 How do they work? How effective are they? So on and
6 so forth.

7 Even though you do get a lot of air or have
8 the potential to get a lot of air off of the belt
9 entry, you can get a lot of air off of other entries
10 as well. It doesn't have to be a belt entry. You
11 know, obviously air dilutes. Belt entries in general
12 have higher dust levels, and it would make sense to me
13 to look at those dust sources and the controls that
14 are being used on them.

15 You know, you talked about changes that have
16 taken place since 1992. This is just a question.
17 With longer belts, do you get more sources? Are there
18 more transfer points, for example, or are there fewer?
19 Are they better controlled or worse controlled?

20 I'm sorry to ramble like this, but I just
21 think it would be useful to look specifically at those
22 sources, consider them, evaluate the controls and see
23 what you get out of it.

24 MR. SCHULTZ: Okay. If there's anything
25 specifically you'd like us to go and look at, like I

1 said, we can go out and do another study at your
2 request.

3 DR. WEEKS: Well, when you're looking at a
4 belt entry and looking at dust on the belt entry, when
5 you take your measurements it would be important to
6 look at the sources of dust, the specific sources.

7 MR. SCHULTZ: Right.

8 DR. WEEKS: I think an entrainment is not a
9 big deal, but transfer points are.

10 MR. SCHULTZ: Right. I didn't have the data
11 from what Bob Haney did. Basically he was saying that
12 the biggest dust source was the transfer point, so I
13 think they did have dust pumps inby and outbye the
14 dumping point there.

15 DR. WEEKS: Yes. I saw Haney's paper. I
16 didn't see any specific -- I mean, I saw him saying it
17 was transfer points, but I didn't see any data to
18 support that.

19 MR. SCHULTZ: And that's what I was going
20 by. I mean, I was reading through that, and I didn't
21 see the data either. It kind of implies that the data
22 is there because he came with that .8 to 1.0
23 milligrams. He had to measure that to come up with
24 that number.

25 MS. ZEILER: We will get in touch with Bob

1 Haney to see if he has additional data that he can
2 provide.

3 MR. SCHULTZ: We tried to do some searches
4 on Google and tried to find these. We had some
5 trouble finding even some of the graphs and that.

6 DR. WEEKS: Right.

7 MR. SCHULTZ: Like I said, this is 15 years
8 old, so it's kind of hard to find some of that.

9 DR. WEEKS: I've got another question which
10 you're probably not in a position to answer, but that
11 hasn't stopped me in the past.

12 You know, NIOSH has recommended a lower dust
13 level of one milligram, and so far the Agency has
14 decided not to do anything about that in terms of
15 setting an exposure limit or revising the exposure
16 limit, but there are other things that could be done
17 in response to that, in recognition that the two
18 milligram limit is not adequate for protecting people
19 against black lung.

20 For example, if you've got one policy that
21 will result in one dust level and another in another
22 dust level, you could recommend the other if it's a
23 lower dust level. You know, you don't have to go
24 through a rulemaking, but you can say well, we think
25 this policy is better because it results in a lower

1 dust level.

2 That's just an example, but there are other
3 ways that you could take account of that
4 recommendation without going through the whole
5 standard setting business.

6 MR. SCHULTZ: The one thing with MSHA, we
7 can't tell the mine what to do. We can only tell them
8 you're out of compliance. You have to fix the problem
9 and get into compliance.

10 It's not our job to come in there and tell
11 them to do that you have to do this, this and that.
12 It's up to them. We can make recommendations to them
13 that we think you need to do these things to get in
14 compliance, but we can't tell them how to get in
15 compliance.

16 DR. WEEKS: Well, that's what I mean in
17 terms of recommendations. You can give a professional
18 opinion.

19 MR. SCHULTZ: Yes.

20 DR. WEEKS: You can say well, NIOSH
21 recommends one. We're enforcing two. If you do it
22 this way you'll get a lower dust level. If you do it
23 that way it'll be a higher dust level. The choice is
24 up to you, but these are the consequences.

25 MR. SCHULTZ: And we do do that. When we do

1 our surveys, like I said, we'll give them a ton of
2 information, but we can't force them to follow those
3 recommendations.

4 DR. WEEKS: Unless you've got a rule.

5 MR. SCHULTZ: Unless they're under citation
6 too. Once they're under citation then we actually now
7 have a little bit of a hammer where we can force
8 companies to make some changes that we deem necessary.

9 DR. MUTMANSKY: Mark, somebody said
10 yesterday that there have been mines that voluntarily
11 reverse the air on their belts when they started to
12 have dust problems at the working face.

13 Is it standard policy for you in your
14 recommendations? Perhaps you can't answer this, but
15 perhaps somebody else could. Is it standard practice
16 for MSHA to recommend to the mine operator that air be
17 reversed on the belts if dust is a problem on the
18 belts?

19 MR. SCHULTZ: Basically I would make that
20 recommendation. If I was looking at a longwall or
21 section and they had high belt air concentration like
22 a 1.0 coming up there and they were having trouble
23 keeping those people in compliance on the section then
24 I would recommend that they reverse it then.

25 DR. MUTMANSKY: Okay.

1 DR. TIEN: Mark, this is a pretty helpful
2 results summary, the summary of what happened in the
3 past 15 years or so, but I do have one question.

4 I don't know if you can find it, but maybe
5 somewhere halfway, the concluding slide from J.
6 Rider's publication on the Dust Control on Longwalls -
7 Assessment of the State-of-the-Art. Yes, the third
8 one from there going backwards, the conclusion of
9 that. Keep on going.

10 MR. SCHULTZ: I'm sorry.

11 DR. TIEN: Yes. Now, would you explain to
12 me the second sentence? "According to the result,
13 potential increase in the face dust levels seems to be
14 negated by the potential for increased dilution."

15 Now, if you have increased dilution the dust
16 level would be lower, wouldn't it, in the face area?

17 MR. SCHULTZ: What they're saying here is
18 your intake dust levels, when you combined the intake,
19 your dust levels are actually increasing.

20 If you had a normal intake it's .1. Now the
21 combined is a .2, so your intake dust concentrations
22 are actually increasing a little bit, but your dust
23 levels that the people are experiencing at the face,
24 because of that additional air coming up the belt
25 entry, the culmination is actually lower in the

1 concentration at the face.

2 DR. TIEN: Okay. Now to come back to your
3 question, you're comparing it to the intake and not at
4 the face area.

5 MR. SCHULTZ: Yes.

6 DR. TIEN: Okay. Gotcha. I'm sorry. Thank
7 you.

8 DR. CALIZAYA: I have one question.

9 MR. SCHULTZ: Yes, sir?

10 DR. CALIZAYA: This one has to do with the
11 particle size. I think most of the reports that you
12 mentioned here, they are dealing with velocities on
13 the order of 400 or less.

14 In that case, I think particle size is not
15 really a major issue, especially when we are talking
16 about respirable dust, but when you mentioned two
17 cases where the velocity was on the order of 900 feet
18 per minute and the results that you reported here,
19 they are mainly for respirable dust.

20 Do you have any information on coarse, thick
21 dust?

22 MR. SCHULTZ: No. Basically we only measure
23 respirable dust.

24 Now, the reason why those relative
25 velocities were so high, that took into account that

1 belt speed of 625 feet per minute, so the air velocity
2 is only 125 and 325 feet per minute during that time,
3 but, like I said, the relative velocity was the 740 to
4 940 because of the belt speed.

5 So really your air velocities were down
6 below 400 in both those cases, the actual air
7 velocity. It's just the relative speed of the coal
8 moving off the belt at 625 with the air velocity going
9 the opposite direction.

10 Like I said, really we just look at the
11 respirable. We're not looking at the particle size.
12 We enforce the standard for respirable dust, coal mine
13 dust, and so we just did the respirable dust.

14 DR. CALIZAYA: So the air velocity was 400
15 or in that range?

16 MR. SCHULTZ: Below 400, yes. It was below
17 that.

18 DR. CALIZAYA: Thank you.

19 MR. SCHULTZ: Anything else?

20 (No response.)

21 MR. SCHULTZ: Good.

22 MS. ZEILER: Thank you very much, Mark.

23 DR. TIEN: I'm sorry. Not so fast. The
24 same question now.

25 Wouldn't that first sentence kind of give

1 people the impression belt air is bad? You are
2 actually comparing the dust concentration in the belt
3 entry versus the intake, not the face.

4 MR. SCHULTZ: Yes, that's what they're
5 saying there. I mean, you are getting an actual
6 increase in your dust levels when using belt air at
7 the face. It does have a slight increase. At least
8 here it had a slight increase in the dust levels.

9 They're saying that's offset by the
10 additional dilution capacity that you're getting with
11 that additional air coming up the belt entry.

12 DR. WEEKS: Another way to possibly put that
13 is if you got air from another entry that was a lower
14 dust concentration than the belt entry you'd have
15 better control over dust that way than if you had it
16 off the belt entry.

17 MR. SCHULTZ: Correct.

18 DR. WEEKS: One of the consequences of using
19 belt air often is the reduction in the number of
20 entries, which has consequences in addition to dust,
21 so if you reduce the number of entries it's going to
22 reduce the amount of control that you have over dust
23 at the face.

24 MR. SCHULTZ: Yes. Basically that report,
25 when I go and do the workshops, part of that is the

1 power of multiple entries, like I said.

2 DR. WEEKS: Yes. I mean, part of the reason
3 I kept asking the questions lower or higher than what
4 is that very few of the comparisons you made were
5 looking at air from the belt entry versus air from an
6 intake entry with lower dust levels.

7 In fact, I don't see anywhere they've made
8 that comparison and so the answer is sort of foregone
9 by the way the question is framed.

10 MR. SCHULTZ: Right. See, if that was
11 completely clean intake air it definitely would be
12 better --

13 DR. WEEKS: Right.

14 MR. SCHULTZ: -- than having slightly dirty,
15 dustier air coming up the belt line.

16 MR. MUCHO: I'd like to comment. You know,
17 one easy way I think to look at it is if I have 50,000
18 cubic feet on the face at .2 mg/m³ but, on the other
19 hand, I might have 70,000 at .3 mg/m³, I'm actually
20 better off with the 70,000 at .3 because then I'm
21 going to dilute the pan line, the shield sources and
22 the shearer sources with more air.

23 MR. SCHULTZ: Yes.

24 MR. MUCHO: So then my bottom answer is
25 actually better, and that's what is meant by dilution.

1 If I can have 70,000 by using belt air as opposed to
2 50,000 by not, I'm better off by using the 70,000.

3 MR. SCHULTZ: Yes, sir. Okay. I'll try it
4 again.

5 MS. ZEILER: Thank you, Mark.

6 With the chair's concurrence, I'd suggest
7 that we take a 15 minute break.

8 DR. MUTMANSKY: Yes.

9 MR. SCHULTZ: Thank you.

10 (Whereupon, a short recess was taken.)

11 MS. ZEILER: Okay. I think we're ready to
12 start back.

13 Before we move into the belt flammability
14 issue, Jeff Kohler would like to direct the panel's
15 attention to some of the information that NIOSH has
16 already provided to you that might shed some light on
17 some of the questions that were asked during Mark
18 Schultz's presentation.

19 DR. KOHLER: During the break that we just
20 had, I had the chance to comment to Linda that a
21 number of the questions that were asked this morning
22 relative to things like the discriminating smoke
23 sensors and dust levels and so forth and so on were
24 really good questions, and there was an obvious need
25 for additional information or maybe even more studies.

1 But I mentioned to her that in fact a number
2 of the papers that are included on the CD or the USB
3 stick that we gave to you yesterday as part of the
4 NIOSH package in fact do address some of those things,
5 so I wanted to encourage you to scan through those,
6 not only the ones that I called out yesterday, but
7 maybe just scan through a number of them. You may be
8 surprised at some of the specific data that is shown
9 and the specific things that have been addressed.

10 In particular, Bob Timko and I were talking
11 about some of the dust questions, and he suggested the
12 paper, Effective Belt Air on Dust Levels in
13 Underground Coal Mines, Longwall Dust Control
14 Practices and Use of Air in the Belt Entry to
15 Ventilate Underground Coal Mines would shed some
16 additional light on those things.

17 Likewise, some of the questions relating to
18 discriminating smoke detectors. There are a number of
19 papers in your package which do that, and I would
20 encourage you to look at that. That's been a very
21 active area of research for some number of years.

22 Then after you've done that if you find that
23 there's still some gaps or specific things that you
24 need, if between NIOSH and MSHA we don't already have
25 that data we may be able to find a way to get it or

1 redo an analysis to more specifically answer your
2 questions.

3 Thank you.

4 MS. ZEILER: Yes. Thank you.

5 All right. Now Harry Verakis, Senior
6 Project Engineer with Tech Support in MSHA, will give
7 a presentation on conveyor belt flammability.

8 MR. VERAKIS: Good morning. Can you all
9 hear me in the back?

10 We're going to switch gears and talk about
11 conveyor belt flammability, which I call a burning
12 issue.

13 MALE VOICE: No pun intended.

14 MR. VERAKIS: To give you a little
15 background on my work, I started with the Bureau of
16 Mines as a research chemist working on dust explosions
17 and fires. Working along in that work, of course what
18 happened was Farmington, and then subsequent to
19 Farmington was the '69 Act.

20 Then the work was directed towards
21 underground coal mining and of course fire and
22 explosion control, and I spent a good bit of time
23 working in that area on fire and explosion control for
24 underground coal mines.

25 Then what happened subsequent to that?

1 Maybe some of you remember the Sunshine silver mine
2 fire in 1972. The direction got changed again, and I
3 began working with metal/non-metal, on fire protection
4 for metal/non-metal underground mines. I spent a lot
5 of time working in that area, of course, on regulatory
6 issues working with the Secretary's Advisory Committee
7 at that time that was set up as a result of the
8 Sunshine mine fire.

9 Following that, of course, I continued
10 working with MSHA in fire and flammability and
11 approval of fire resistant materials. I continued
12 that work for quite some time, again doing regulatory
13 work, coming up with new and improved fire resistant
14 materials and new and improved tests for fire
15 resistant materials.

16 Presently I'm working at the Approval and
17 Certification Center, which is near Wheeling, West
18 Virginia, and working on special projects like this
19 one.

20 What I'm going to do is I'm going to give
21 you an overview of conveyor belt flammability, and I'm
22 going to compress about 50 years of work in something
23 under an hour. Much of the work that has been done as
24 far as our work goes has been with of course MSHA and
25 the Bureau of Mines and now NIOSH. A lot of the work

1 that I'll be talking about we worked on jointly.

2 I'll talk about the early history of flame
3 resistant conveyor belts to give you some idea of what
4 was going on, what happened. What kind of flame test
5 was specified? What did the '69 Act say in terms of
6 flame resistant conveyor belts? What's presently
7 required? What are we doing about flame resistant
8 belts at the present time?

9 I'll talk some about programs that we had
10 undertaken to improve belt fire safety and some of the
11 reasons why. I'll talk about studies on a large scale
12 belt fire test that we did. This was a large scale
13 study that was done in conjunction of course with the
14 Bureau of Mines and MSHA.

15 From that study I'm going to talk about the
16 development of a new laboratory scale belt
17 flammability test, what came about from that large
18 scale study and what did we come up with and then a
19 voluntary test program where we use the laboratory
20 scale flammability test.

21 I'll talk about proposed rulemaking. When
22 we came up with the new belt test, what did we do in
23 terms of rulemaking? Then I'm going to talk about
24 what happened subsequent to that, withdrawal of the
25 rule.

1 Early history. It started back in the
2 1950s, research work for the Bureau of Mines. Why?
3 Naturally because there were a lot of conveyor belt
4 fires. One of the bigger things I think was there was
5 a fire in Great Britain, the Creswell fire in 1952,
6 and it killed 80 miners.

7 It had to do with conveyor belts and so the
8 English started working on something, coming up with
9 something better than what had happened with the
10 belting that they had at that time. Also, the Bureau
11 of Mines began working on some kind of a test to come
12 up with a better belt.

13 There was a development that did occur
14 during that period of time. The British came up with
15 a development, a small scale test, and so did the
16 Bureau of Mines, but there was no regulation, no
17 regulation in this country that required flame
18 resistant conveyor belting.

19 A testing schedule was developed, and that
20 testing schedule was called Schedule 28. As a matter
21 of fact, to this day if you look at a conveyor belt
22 and you look for markings on the conveyor belt they're
23 assigned by MSHA. You'll see the number starts out
24 with 28. That's a result of the Schedule 28. That
25 was promulgated back in 1955.

1 I just want to make a point here.
2 Subsequently there was another schedule promulgated,
3 Schedule 2G, in 1968 which continued the flame test
4 for flame resistant conveyor belt, and basically
5 Schedule 2G covered electrical equipment, but conveyor
6 belting was placed into Schedule 2G and Schedule 28
7 went away.

8 So now we have Schedule 2G, which is a
9 formal belt flame test program, and acceptances are
10 issued by the Bureau of Mines. Of course, they were
11 issued under Section 28 also. The Bureau ran the
12 test, a small scale test under Section 28. They also
13 continued to run the small scale test under Section
14 2G. However, Schedule 2G did not require for
15 underground coal mines the use of flame resistant
16 conveyor belt.

17 What happened? 1969. Section 311 of the
18 Act mandated that all conveyor belts acquired for use
19 underground meet the requirements to be established by
20 the Secretary for flame resistant conveyor belts.
21 This is where you come in with the first mandate on
22 fire resistant conveyor belts is the 1969 Act.

23 Pursuant to the 1969 Act, Part 75, Section
24 75.1108, was promulgated, and it mandated that on and
25 after March 30, 1970, all conveyor belts acquired for

1 use underground should meet the requirements to be
2 established by the Secretary for flame resistant
3 conveyor belts.

4 Section 1108-1 specified conveyor belts
5 which have been approved as flame resistant by the
6 Bureau of Mines under Part 18 of this chapter, which
7 was Bureau of Mines Schedule 2G, meet the requirements
8 of 75.1108.

9 What does this mean? What it meant was the
10 work was done under Schedule 28 and the work that was
11 done under Schedule 2G, those belts that met those
12 requirements, they met the requirements that were
13 required under the '69 Act and basically promulgated
14 under Section 75.1108.

15 I'll talk a little bit about Part 18,
16 Section 18.65. It incorporated Schedule 2G, so now we
17 have another part. You take Schedule 2G for the flame
18 test. We put it in Part 18. This was done in 1977.
19 The flame resistant conveyor belt test now is
20 designated as Part 18, Section 18.65, which we'll call
21 the 1865 test.

22 The continuity over this time period of 20
23 some years is still maintained on testing and
24 acceptance of flame resistant conveyor belts from 1955
25 on through 1977.

1 Present regulation. The '69 Act specified
2 flame resistant conveyor belts. 75.1108 mandated
3 flame resistant conveyor belts. When the '77 Act came
4 through there wasn't any changes on that language. It
5 continued, so the requirement now in 30 C.F.R. is Part
6 18.65. That's what MSHA uses in terms of flame
7 resistant conveyor belt testing.

8 MSHA conducts the flame resistant tests and
9 issues the acceptances. We do that at the Approval
10 and Certification Center near Wheeling. There's been
11 quite a large number of conveyor belt constructions
12 that have been accepted, a large variety of different
13 types of belts. These acceptances are listed on
14 MSHA's home page. If you want to know what conveyor
15 belts have been accepted, you can go to MSHA's home
16 page. You can get that listing.

17 I want to talk about the 1865 test apparatus
18 to give you an idea. I'm going to get a little bit
19 technical now. I'll give you an idea of what this
20 test involves. What is the apparatus? What's the
21 procedure? What's the requirements for meeting the
22 test? I'll talk about the test criteria for flame
23 resistance and some about the acceptance and belt
24 marking requirement.

25 Now, this is the test apparatus. If you're

1 looking at this, this is basically a metal box, a
2 cube, 18 inches square on each side. It has an air
3 inlet on the right side, an exhaust fan on the left
4 side. You take a small sample of conveyor belting.
5 You place it inside the cabinet. You have a Bunsen
6 burner inside the cabinet. You light the Bunsen
7 burner. You pull air across the sample, and you watch
8 how the conveyor belt burns.

9 This gives you an idea of what sample was
10 used in the test. It's really like a pencil size
11 piece of conveyor belt six inches long, half inch wide
12 by whatever the thickness of the belting is.

13 Test details. We test four belt samples six
14 inches long, as I mentioned, half inch wide by their
15 thickness. We use a Bunsen burner, a three inch blue
16 flame used to ignite the sample. The burner flame is
17 applied to the end of the belt sample for a minute and
18 then it's retracted, so that serves as the ignition
19 source. The electric fan, as I mentioned a little
20 earlier, is turned on to produce an airflow of 300
21 feet per minute over the belt sample.

22 Now, the duration of flaming, how long the
23 belt flames, including any glow, is timed for each of
24 the four tested samples. We're collecting data. Then
25 we take from those four samples the flaming time and

1 the glowing time, and we average that.

2 The criteria for passing a flame test is
3 each set of four samples must not result in a duration
4 of flame exceeding an average of one minute, so an
5 average of one minute out of those four samples. If
6 you exceed one minute then you fail the test. If you
7 have glow that's exceeding three minutes on the
8 average you'll fail the test.

9 Types of accepted belts meeting 1865.
10 Rubber belts like SBR, butyl and neoprene, one to
11 eight plies, SBR meaning chemically styrene-butadiene
12 rubber, PVC or polyvinyl chloride, solid woven and
13 coated, composites such as a rubber cover and a PVC
14 carcass, steel cord belts.

15 Steel cord belts is more or less a later
16 addition to the different types of belts that we've
17 been evaluating, the rubber belts with various
18 diameter steel cords. Of course, if you meet the 1865
19 test then MSHA issues an acceptance marking that's
20 placed on the conveyor belt.

21 Any questions on the 1865 test?

22 (No response.)

23 MR. VERAKIS: Okay. I'm going to talk about
24 the conveyor belt fire test program. We initiated
25 this program in 1985, and one of the reasons was there

1 was an increase in conveyor belt fires during the
2 1980s. Actually from 1980 through 1988 I believe
3 there were 28 conveyor belt fires.

4 About 30 percent of these fires involved
5 conveyor belt fire traveling hundreds of feet. Now,
6 remember these are belts that have been accepted under
7 1865, accepted as flame resistant. Of course, during
8 that time we had the issue of belt air so we needed to
9 make some kind of evaluation on belt flammability with
10 the effect of different air velocities on that belt
11 flammability.

12 I'll talk about the fire test program
13 objectives. Of course, one of the things was to
14 evaluate the conveyor belt flammability from low to
15 high airflow. The large scale belt tests, as I
16 mentioned earlier, were performed by the Bureau of
17 Mines in cooperation with MSHA.

18 We obtained this flammability data on
19 conveyor belts from small scale tests, and we used the
20 data that we got to develop and improve small scale
21 tests for belt flame resistance and approval.

22 Large scale fire tests. They were conducted
23 in a surface fire tunnel that was constructed by the
24 Bureau of Mines at their Lake Lynn Lab, which is near
25 Fairchance, Pennsylvania, not too far from Morgantown.

1 The tunnel is about 90 feet long, connected to an
2 axial vane fan, its floor with a width of about 12 and
3 a half feet, and the height to the center of the arch
4 is about eight feet and the cross sectional area is
5 around 80 or 81 square feet.

6 This gives you a picture of the tunnel
7 itself. You get an idea of the open area of the
8 tunnel. We're looking at the open end of the tunnel
9 opposite the fan.

10 We conducted fire tests on conveyor belts
11 that ranged from 30 to 50 feet long and about 40 to 42
12 inches wide. We tested different kinds of belts --
13 belts with SBR or the styrene-butadiene rubber type
14 belts, neoprene belts, PVC belts -- that met the MSHA
15 required 1865 flame test. Some of the belts also met
16 higher flammability standards of other countries like
17 Great Britain and Canada.

18 The fire test permitted airflows from about
19 150 feet per minute up to 800 feet per minute.
20 Actually we ran a couple of tests at I believe we were
21 up around 1,200 feet per minute airflow.

22 This is what the belt test setup looked
23 like, just the placement of a single strand of the
24 conveyor belt on the conveyor roller structure. The
25 end closest to you was where we ignited the belt. Of

1 course, we had a lot of data collection, and
2 thermocouples were used to measure flame spread along
3 the belt length. It was stationary. It was not a
4 moving setup.

5 This gives you an idea. One of the tests
6 for the belt is actually under fire. This is the kind
7 of smoke you get from belt fire. It gives you an idea
8 of what's produced.

9 With the results of the belt fire tests we
10 did do some double strand tests and we did do a few
11 tests with coal on the belt, but the majority of the
12 testing was done with a single strand.

13 What were the results? Well, strangely or
14 not so strangely, it showed that an airflow of 300
15 foot per minute was optimum for flame spread. Is that
16 coincidental with the 1865 test? The 1865 test is set
17 for an airflow of 300 feet per minute.

18 We observed several different types of
19 flammability behavior: One, rapid flame spread
20 greater than about 13 feet a minute and burning the
21 entire belt; you get rapid flame spread where it just
22 chars the entire top surface, but the bottom of the
23 belt is undamaged; slowly propagating flame from
24 anywhere from about one to about four and a half feet
25 per minute the belt consumed; no flame propagation

1 over the entire length of the belt except for the
2 ignition zone area.

3 DR. BRUNE: One question. Can you clarify?
4 All these belts did pass the 1865 standard test?

5 MR. VERAKIS: Yes.

6 DR. BRUNE: Is that correct?

7 MR. VERAKIS: Yes. Actually, before we ran
8 the large scale test we conducted the 1865 test on
9 those belts.

10 There's a lot of data from the large scale
11 tests, and we don't have the opportunity to go through
12 all of that at this point in time. There were papers
13 written on it by the Bureau of Mines and of course
14 MSHA, and you can get the data from those papers, more
15 specific data from the papers. Jeff Kohler had also
16 given you a listing of papers. Those papers will
17 detail the results of the large scale tests.

18 Now, having this data we decided what we
19 were going to do, and I'll go back. I'll take a step
20 back. We went to large scale for a couple of reasons.
21 One of them was because of the belt air issue. You
22 know, what happens with airflow low to high?

23 The other thing is okay, we want to try to
24 improve things on belt flammability, and how are we
25 going to go about doing this? We need some kind of

1 data. We've got belt data from the MSHA 1865 test,
2 you know, and now we have data from the large scale
3 test. We're showing we've got belts that aren't flame
4 resistant.

5 The other thing is we went back and we
6 looked at what happened in other countries. What did
7 other countries do as far as this kind of conveyor
8 belt flammability issue? We were looking for data
9 from other countries.

10 The problem with data from the other
11 countries, they didn't go high enough in the airflows,
12 different configurations, and there just wasn't a
13 whole lot of good background on large scale testing so
14 we really said we need to start at step one, and we
15 need to get data from large scale tests, something
16 that's more reasonable like a mine entry.

17 That's why we set up the large scale fire
18 testing at Lake Lynn. That did give us quite a bit of
19 data. We take this data from the large scale fire
20 test, and now we want to develop a smaller scale test
21 because working with a large scale fire test takes a
22 lot of resources, a lot of time. It's just not the
23 tool for some kind of approval or acceptance test.

24 We took that data, and we used the data to
25 develop a laboratory scale test. Now, what we did was

1 we had to develop some kind of criteria on the large
2 scale test for pass/fail, so what we said is a belt
3 passes if the fire damage did not extend to the end of
4 the 30-foot long test sample.

5 If it didn't burn all the way to the 30-foot
6 sample then you would pass. Also, a portion of the
7 test sample was undamaged across the width of that
8 belt. If you went 29 feet and you had a foot left
9 across the width of the belt, you passed the test.
10 This was the large scale criteria. This is what we
11 used for the large scale test.

12 Of the belts that we tested under the
13 program, 17 different types of belts, six passed the
14 criteria. So now we have something to work with.
15 We're going to develop this laboratory scale test now
16 using the data from the large scale test.

17 We've got things like airflow that we have
18 to deal with, a test sample width and length, the
19 ignition source, the duration of the ignition source.
20 These are all parameters in trying to develop a test
21 that is going to give some kind of reasonable results
22 based on a large scale test.

23 The test that the Bureau of Mines came up
24 with was about six foot long and about a one and a
25 half foot square tunnel connected to an exhaust fan

1 again. We used the natural gas jet burner for the
2 ignition source. This is what the laboratory test
3 looked like. It was just a tunnel, six feet long. In
4 the front you can see the jet burner and then the
5 exhaust system in the back with a hood in the front in
6 case there is any combustion product escaping to draw
7 those off.

8 Now, in the tunnel we used a steel rack to
9 hold the test sample. It was actually flat. This
10 test sample was nine inches wide now by five feet
11 long. Remember, in 1865 we're dealing with a half
12 inch wide and six inches long. Now we're dealing with
13 a much larger sample.

14 The airflow through the tunnel now is 200
15 feet per minute. We used this natural gas burner for
16 ignition, and we held it on the belt for five minutes.
17 This is what it looks like when you have a belt
18 sample set up in the tunnel, and this kind of gives
19 you an overall schematic of the tunnel test itself,
20 and then of course an example of a belt fire test in
21 that tunnel.

22 Now we have to develop criteria for pass/
23 fail on this test. The criteria that was developed
24 was the belt passes if in three test trials there
25 remains a portion of the five foot sample length that

1 is undamaged across its width.

2 Similar to the large scale test, now you
3 have a five foot piece of sample. If you burn the
4 whole five foot piece of sample, you fail. We do that
5 three times. You fail a test in any of the three test
6 trials if fire damage extends to the end of the five
7 foot sample length.

8 What we found was the comparison between
9 large scale test data with the lab scale tests were in
10 pretty good agreement. One of the things that is
11 difficult in flammability testing is trying to come up
12 with a laboratory or a small scale test that meets
13 precisely what you would get in a large scale fire.
14 It's a very difficult thing.

15 I don't know at this point of any
16 flammability tests in the industry -- not only for
17 conveyor belts, but for other materials -- where you
18 get perfect agreement with a small scale test based
19 upon large scale data. There are differences, but
20 what was developed here was in pretty good agreement.
21 Again, to get more data on the lab scale fire test
22 there's Bureau of Mines and MSHA papers on that.

23 Now we have a laboratory scale test. What
24 do we do? We hold a public meeting in January of 1989
25 to discuss where we're going to take this laboratory

1 scale test. We're going to come up with a voluntary
2 program to make some evaluations on it to get a better
3 feel for using the test. At the same time we say
4 we're going to propose rulemaking to replace the 1865
5 test with this new lab scale test.

6 We had 21 companies that participated in the
7 MSHA voluntary belt test evaluation program. There
8 was no charge. These companies would come in free of
9 charge. Whatever belt samples they had, we would make
10 evaluations on them using this laboratory scale test.

11 We did almost 700 individual flammability
12 tests on the conveyor belt samples from these
13 companies. There are 112 different constructions and
14 formulations of belts that passed this new lab test,
15 which we designated as BELT.

16 Now we're into rulemaking. We initiated the
17 rulemaking in 1989. We were going to replace the 1865
18 test. We proposed a rule for testing and approval of
19 flame resistant conveyor belts with this new
20 laboratory scale test. It was published in the
21 *Federal Register* the day before Christmas 1992. We
22 also modified 75.1108 to require acquisition of
23 conveyor belts meeting the new test.

24 We held a public meeting in 1995 on this
25 rulemaking. The belt test rule was open for public

1 comment several times following the proposed rule and
2 the public hearing.

3 Now, what happened? On July 15, 2002, it
4 was announced in the *Federal Register* they were going
5 to withdraw the proposed rule for the new conveyor
6 belt test. The reasons for their withdrawal were
7 indicated in the *Federal Register* notice.

8 We've now had a significant decline in
9 conveyor belt fires from 1993 to 2002. There's
10 improvements in belt monitoring. I mean, you've heard
11 quite a bit of that over the past day or so. There's
12 technology advancements to minimize friction on the
13 belt because that's a primary concern as far as fires
14 is friction, roller and bearing improvements.

15 So where are we at this stage? Well, the
16 1865 test was approved as the schedule back in 1955,
17 so this past November it's now 51 years old.

18 Any questions?

19 MALE VOICE: That's it?

20 MR. VERAKIS: That's it.

21 MR. MUCHO: Your ending is different here.

22 MR. VERAKIS: Thank you.

23 MR. MUCHO: No. It's not that easy. You
24 know, one of the things I don't see any evidence of in
25 the U.S. is consideration or looking at friction drum

1 tests.

2 Do you know? Was there ever any
3 consideration given to friction drum testing at
4 conveyor belts?

5 MR. VERAKIS: Yes, there was consideration
6 given on friction drum testing. As a matter of fact,
7 in Section 28 there was a drum friction test.

8 I believe what happened as time went on, in
9 1969 of course you had changes in regulations with the
10 '69 Act. You had things like slippage switches and so
11 forth. What occurred then in effect is the drum
12 friction test was dropped and all we have is the flame
13 test.

14 MR. MUCHO: Do you have any idea as to what
15 the thinking was as to dropping that?

16 MR. VERAKIS: I believe it was because of
17 other controls in the '69 Act such as the slippage
18 switches and fire protection in the belt entry.

19 MR. MUCHO: Another question. I looked over
20 the number of approvals of conveyor belts, and the
21 list is surprising lengthy in terms of the number of
22 belts that have been approved.

23 MR. VERAKIS: Yes.

24 MR. MUCHO: In looking at the list, I
25 couldn't get an indication of time period as to when

1 these belts had been approved. Has there been
2 activity in that area recently?

3 MR. VERAKIS: Yes.

4 MR. MUCHO: Okay. I notice there seemed to
5 be a lot of what I'd call foreign belt manufacturers
6 more recently. Is that a trend that you've been
7 seeing?

8 MR. VERAKIS: That's been a trend over the
9 past 10 years or so. It's been a trend for more
10 foreign belt manufacturers.

11 The other trend is of course the
12 reorganization and combining of belt companies so that
13 the listing that you see on the website, there can be
14 a number of those companies that really aren't
15 producing belts.

16 I think actively there is probably on the
17 order of maybe a half a dozen or so that are producing
18 belts. I mean, I don't have an exact count. Some of
19 the companies will go out of business and we're not
20 notified of that, that they've gone out of business,
21 or else they have acceptances or documentation from us
22 and they're not producing the belt and they haven't
23 produced the belts that they got accepted from us for
24 quite some time.

25 MR. MUCHO: Okay. Of the recent activity

1 over the last 10 years that people have been
2 submitting these belts for approval, do you have a
3 feel for say percentage-wise how many of them would
4 have passed the proposed test, or don't you have any
5 way of knowing?

6 MR. VERAKIS: With 1865, you cannot use that
7 information to tell you. You can't take the 1865 data
8 and be able to tell that.

9 I mean, in 1865, because you had the one
10 minute time criteria, you know, maybe a belt will only
11 flame for 10 seconds. We don't know by that 10 second
12 value whether or not it would meet the new lab scale
13 test. There's not a correlation --

14 MR. MUCHO: Right.

15 MR. VERAKIS: -- between that data of what
16 you would get in the new lab scale test. I mean, if
17 there was we certainly would have been using it
18 because that way then we would make even smaller that
19 lab scale test.

20 MR. MUCHO: Is there any sense from your
21 vantage point in testing these belts recently whether
22 there have been a number of belts -- well, let me back
23 up one second.

24 We know there are international standards
25 that vary around the world, and we know that a lot of

1 the coal producing standards, fireproof resistance
2 requirements -- fire resistance requirements rather --
3 of conveyor belts internationally are I'll call them
4 somewhat higher than the U.S. standard.

5 Have a lot of those kinds of belts been
6 presented to MSHA for approval in the recent 10 years
7 or so?

8 MR. VERAKIS: Yes, there have been belts
9 that have met other countries' standards that have
10 been submitted to us and passed our testing. Yes.

11 MR. MUCHO: Okay.

12 MR. VERAKIS: You know, as far as the 1865
13 test, if you try to make a comparison between the 1865
14 test and worldwide standards, worldwide standards,
15 just as some examples, the Australians, the British
16 and the Canadians are much more stringent than 1865.
17 Even the German testing is much more stringent than
18 the 1865 testing.

19 Now, the new laboratory scale test, the BELT
20 test, from the limited information that we have it
21 matches up pretty well with those other tests. As a
22 matter of fact, it may even be better in terms of fire
23 resistance than the British or the Canadian or the
24 Australian.

25 What had happened, at the time that we were

1 developing the laboratory scale test, the Canadians
2 naturally were interested in the work. Of course, so
3 were the British and the Australians. They were
4 interested in the work that we were doing, but the
5 Canadians had what I'll call a midsize scale test
6 that's basically called a propane burner test.
7 They're running it up in Canada.

8 It's cold in Canada, and they were running
9 this test. They had a lot of problems in running the
10 test. They looked at our lab scale test and said
11 maybe this is the kind of tool we can use to replace
12 what we've got. In fact, that's basically what
13 happened. My understanding too is that they were
14 using this laboratory scale test in Great Britain.

15 One of the things that we tried to do with
16 the laboratory scale test, and very quickly you can
17 get to be expensive with this testing. You can get to
18 be complicated with the testing. Procedures become
19 complicated, a lot of steps to follow.

20 We try to simplify all that, come up with an
21 apparatus that you could run in a laboratory, you
22 know. It's not going to take a whole lot of
23 equipment. It's not going to be real expensive to do
24 it.

25 It's going to be easy to run it, easy to

1 clean, easy to work with, and yet is going to give you
2 results that you have a pretty good reliance on, and
3 you're going to have a good fire resistant belt. That
4 was part of the overall objective.

5 MR. MUCHO: Does MSHA have any feel for some
6 rough percentage of conveyor belts run or that have
7 been run that would meet the belt fire standards?

8 MR. VERAKIS: About 10 to 12 years ago I had
9 that kind of information when we were doing the
10 laboratory scale test that there were some companies
11 that actually produced belt that met that test, and
12 they actually sold that belting to several underground
13 mines. My understanding was that it worked out pretty
14 well.

15 How many? Like I say, the information I had
16 was several.

17 Yes, Jurgen?

18 DR. BRUNE: Based on your experience, would
19 you say that the BELT test is an adequate test to
20 characterize belt as flame resistant or flame
21 retardant for coal mine use?

22 MR. VERAKIS: Based on my experience and
23 based on the work that we've done over the past 30
24 some years, it's a definite improvement over 1865.
25 Definitely an improvement, yes.

1 It's a pretty good test. You're going to
2 get a pretty good fire resistant belt, you know. A
3 lot of these tests, you have to look at the test and
4 say you have this five foot sample, and you're putting
5 a gas jet burner on the end of that sample and
6 igniting it for five minutes. That's a fairly long
7 time, pretty stringent.

8 It's designed to meet what you've got on a
9 large scale. That's one of the things so that there
10 is some comparison there rather than just pulling
11 something out of the air. My personal feeling is it
12 is a pretty good test.

13 DR. BRUNE: Let me ask you the other
14 question. Are you aware of any tests that other
15 countries use that would better represent that
16 characteristic?

17 MR. VERAKIS: Not really. You know, when we
18 made a comparison some time ago with the limited data
19 that we had, if you take the British like the propane
20 gallery test, what's called a high energy propane
21 gallery test, the comparison there was they were
22 pretty much equal.

23 As a matter of fact, as I could best
24 remember I think that the BELT test, the B-E-L-T test,
25 was a little more stringent.

1 DR. BRUNE: Thanks.

2 MR. MUCHO: Harry, some countries require an
3 electrostatic test of conveyor belting as well. Has
4 MSHA looked at that over the years? Obviously there's
5 not a test for it, but if they rejected it what was
6 the rationale?

7 MR. VERAKIS: Yes, we did look at
8 electrostatics. Of course, like the British, they
9 have electrostatic test requirements.

10 We did look at electrostatics, but one of
11 the things that we felt in this whole belt
12 flammability issue was flame propagation. That's our
13 main concern. We've got these fires that were going
14 on with belting that met the 1865 tests. We needed to
15 do something about flame propagation.

16 Yes, we looked at electrostatics, but the
17 other consideration about electrostatics is you've got
18 the belt on a metal structure, and the metal structure
19 should be grounded, you know, so is there real
20 significance in the practical world with electrostatic
21 tests on conveyor belts?

22 MR. MUCHO: Do you have any idea what some
23 of these countries' experience is with that test? Do
24 they get belts that don't pass the electrostatic part
25 of it and seem problematic?

1 I haven't been able to understand the
2 electrostatic push either for the same reason. It
3 doesn't seem to make sense, but since there are a
4 number of countries that do that do you think they did
5 it for a reason? I'm just wondering why they're
6 continuing to do it.

7 MR. VERAKIS: Yes, and I don't have a good
8 answer for that. I don't have the data to look at and
9 say well, this is what they did and why they did it.
10 Again, our primary objective was the flame propagation
11 end.

12 I think one of the things considered too in
13 all of this is that the first line of defense is to
14 have a belt that's not going to be burning hundreds of
15 feet. That's the first line of defense.

16 You know, regardless of the airflow and
17 regardless of these other things, if you have a
18 conveyor belt that is not going to be burning then you
19 don't have to worry about things that are going to be
20 malfunctioning, that may not work; you may think do
21 work and they don't work. We've had instances of
22 those in some of the accident investigations.

23 DR. MUTMANSKY: Harry, when Tom brought up
24 this issue of the electrostatic tests, can you tell us
25 what incidence instigated the electrostatic test? Is

1 there some sort of evidence that these countries had
2 that required them to take a look at this?

3 MR. VERAKIS: My personal feeling is there
4 may have been some issue about methane coming off the
5 coal layering in the conveyor belt roof area and maybe
6 electrostatics played some role in that, but I don't
7 have any data. I don't have the data. That is just a
8 personal thought.

9 DR. TIEN: Harry, if I remember correctly,
10 you're talking about the large scale belt test is
11 stationary? The belt was stationary?

12 MR. VERAKIS: Yes, the belt was stationary.

13 DR. TIEN: Do you have any feel for or
14 theoretical speculation that there is any difference
15 in terms of when the belt is moving against the
16 airflow on the impact of the flame propagation?

17 MR. VERAKIS: If the belt is moving and
18 you've got fire on the belt, it is a very complicated
19 situation of what's going to happen. I mean, we have
20 enough difficulty with the belt being stationary and
21 collecting data off of it. I mean, that's like a
22 foundational thing, you know.

23 If you start moving the belt now, and one of
24 the things is trying to get that belt on fire when
25 it's moving. If you do get that belt on fire when

1 it's moving, what's going to happen? It's a very
2 complication situation, and we did not go that route.

3 The idea again was we wanted to see when you
4 get that conveyor belt ignited what's going to happen
5 to it. A lot of times, as you probably know, if you
6 have a fire on the belt area the belt gets shut down
7 hopefully.

8 DR. TIEN: Thank you.

9 MR. MUCHO: Just one point, Harry. Part of
10 that reason is the stationary belt is sort of a worst
11 case.

12 MR. VERAKIS: Yes.

13 MR. MUCHO: Like you said, the gap between
14 igniting a stationary belt, which is when it generally
15 might when they're stopped, compared to a moving belt
16 is just a major gap in that whole thing, so really
17 when you're looking at stationary you're looking at
18 what most people would call worst case.

19 MR. VERAKIS: Yes. It's really fundamental.

20 DR. TIEN: Thank you.

21 MR. VERAKIS: Any other questions?

22 (No response.)

23 MR. VERAKIS: Thank you.

24 MS. ZEILER: Thank you, Harry.

25 I think we've reached lunchtime. We can

1 break for lunch. The chair would like us to return
2 when?

3 DR. MUTMANSKY: Let me look at the schedule
4 and check.

5 MS. ZEILER: Okay. We'll have the open
6 panel discussion this afternoon.

7 DR. MUTMANSKY: We're scheduled for 1:00. I
8 don't see any reason why we can't beat that 1:00.

9 MS. ZEILER: Okay.

10 DR. MUTMANSKY: Let's go for 1:00.

11 MS. ZEILER: Let's reconvene at 1:00.

12 (Whereupon, at 12:01 p.m., the briefing in
13 the above-entitled matter was recessed, to reconvene
14 at 1:00 p.m. this same day, Wednesday, January 10,
15 2007.)

16 //

17 //

18 //

19 //

20 //

21 //

22 //

23 //

24 //

1 in conjunction with the SME meeting in Denver and then
2 decided that it was too complicated and that rooms
3 might be difficult to obtain so we decided instead to
4 tentatively hold our next meeting March 14 through 16
5 in the Pittsburgh area.

6 Some suggestions have been made already
7 about where we would hold this meeting, and the only
8 thing we can say at this point in time is that the
9 availability of meeting sites will be a big factor in
10 this issue.

11 Now, if you would like to get an idea of
12 what we're going to be discussing, we have several
13 major topics we'd like to get as much information on
14 as possible. Belt flammability and materials is one
15 topic, and we certainly would want to hear from some
16 of the industry people here.

17 We might like to have comments by
18 representatives of the National Mining Association and
19 UMWA perhaps, but we would like to get as much real
20 data as possible on that particular topic, and we
21 would like to invite those of you who have ideas about
22 who should be speaking at this meeting to contact
23 Linda or myself with your basic ideas.

24 We've already been in contact with a couple
25 of the belt manufacturers who are here today, and I

1 think it would be worthwhile for us to widen our
2 thinking as to who else should be speaking on the belt
3 flammability issues.

4 Now, we also would like to have
5 representatives of monitoring systems talk about some
6 of the capabilities and the issues that relate to belt
7 air usage in the underground and so we will have to
8 develop contacts with those people. If you have ideas
9 as to who we should contact, please let us know.
10 Again, we would like to have comments and speakers
11 from both industry and UMWA if appropriate.

12 Then there are two other issues. Lifelines,
13 escape and rescue issues might be one we'd like to
14 also address in this meeting, and I think we're going
15 to take the third and fourth topics and perhaps do a
16 little less time on those two topics, but it is
17 important to discuss some of these issues, lifelines,
18 escape and rescue issues and dust issues.

19 I would like to perhaps invite some
20 appropriate person from NIOSH to talk on the dust
21 issues, and we may be able to get Jeff Kohler to have
22 one of his people discuss those issues with
23 relationship to belt air.

24 At this particular point in time we would
25 like to have anybody here who's interested in

1 contributing to our thought process here to give us
2 their ideas as to how we should develop this meeting.

3 We have tentatively scheduled it as two and
4 a half days, Wednesday, Thursday, Friday morning, and
5 the only reason we can't be more definitive is that we
6 don't even have a meeting site yet. This is still
7 very tentative.

8 First before we go to the audience here,
9 would anybody on the panel like to make comments to
10 supplement what I've already said?

11 MS. ZEILER: Can I interrupt just for one
12 second? The *Federal Register* notice said that today's
13 meeting would not allow for public comment.

14 DR. MUTMANSKY: Okay.

15 MS. ZEILER: We actually can't do that
16 today.

17 DR. MUTMANSKY: All right.

18 MS. ZEILER: So you're talking about the
19 future meeting actually in that regard.

20 DR. MUTMANSKY: Okay. All right. Other
21 members of the panel?

22 DR. WEEKS: You gave us a list of documents
23 that were available. There's several of those that
24 I'd like to get plus others that were not on the list.
25 How do I make that request?

1 MS. ZEILER: That can come through me.

2 DR. WEEKS: Okay.

3 MS. ZEILER: Or give it to Jan. These are
4 documents that are not either on our list or on the
5 NIOSH disk?

6 DR. WEEKS: Well, I don't know whether
7 they're on the NIOSH list. I don't think they are.

8 MS. ZEILER: Okay. If they're not on either
9 one just let me know.

10 DR. WEEKS: All right.

11 DR. TIEN: Jan, I am just wondering. Is it
12 possible to put your address on the screen?

13 DR. MUTMANSKY: Email?

14 MS. ZEILER: We've got those lists for you.

15 DR. TIEN: Okay.

16 MS. ZEILER: We made those up for you.
17 Hazel made that up for you yesterday. I just haven't
18 passed it out yet. You'll get the contact list. In
19 fact, we'll do that now.

20 DR. MUTMANSKY: Linda, would it be okay for
21 us to give our email addresses to the audience in
22 general here for contact?

23 MS. ZEILER: I'm looking at the solicitors
24 to make sure I'm okay.

25 DR. MUTMANSKY: Okay.

1 MS. ZEILER: I think the advice I'm being
2 given is probably good, which is most requests like
3 that should come through me initially because we'll
4 have to get some grasp on how much input we're getting
5 and how to frame that for future meetings, so I think
6 it should all be funneled through my email address,
7 which Hazel is going to put up on the screen.

8 DR. MUTMANSKY: Good. Good. Thank you.
9 I'm happy with that. There may indeed be good reasons
10 for doing that.

11 MS. ZEILER: Yes.

12 DR. MUTMANSKY: Okay.

13 MS. ZEILER: Do you know of any specifics on
14 any of these topics offhand other than what you've
15 said, or would you like --

16 DR. MUTMANSKY: Yes. Well, let me put some
17 thoughts out there that have been passed on to me by
18 panel members.

19 MS. ZEILER: Okay.

20 DR. MUTMANSKY: The kinds of questions that
21 come into our mind I think are the following: First,
22 in terms of belt flammability we really would like to
23 know what's going on in other countries and how it
24 compares to our own country.

25 We also would like to get as much

1 information as possible about all aspects of belt
2 materials that would pertain to this problem.

3 Some of the issues that have been addressed
4 or, excuse me, some of the issues that have been
5 discussed also with regard to monitoring systems is
6 whether or not monitoring systems can play a bigger
7 part in mine safety in a mining system where belt air
8 is being used at the face, and we're asking this as a
9 question, and I think several people have said
10 shouldn't we be looking at that very carefully.

11 The additional topics that you see outlined
12 here have been suggested this morning as supplemental
13 topics, and one of the things we wanted to try to do
14 at this next meeting is get deep into several of these
15 topics, and we felt that the escape issue and rescue
16 issues are important, and we also felt that the topic
17 that we've discussed this morning, dust issues, is
18 also important, and we feel we need more information
19 on dust issues at this next meeting.

20 Jim, why don't we take turns? Why don't we
21 take turns here, Jim? Why don't you make any comments
22 you would like concerning the things we would like to
23 accomplish at our next meeting?

24 You may have some thoughts that I've not
25 been expressing, and I'd appreciate it if you would.

1 We'll do this in turns.

2 DR. WEEKS: Well, let's see. I turned the
3 mic so that I could be silent. You caught me sort of
4 off guard here.

5 DR. MUTMANSKY: Yes, I did.

6 DR. WEEKS: Yes. I was very happy that
7 Florida beat Ohio State.

8 Well, there are issues that have not been
9 addressed at all, and one of them is fire prevention.
10 We've talked about fire detection and suppression, but
11 we haven't said anything about preventing fires on
12 belt entries and controlling the conditions that lead
13 to those fires and trying to get a better
14 understanding of what those are and so on.

15 One of the requests that I'm going to make,
16 Linda, is to get an accounting from MSHA of violations
17 on belt entries, particularly those that are used for
18 ventilation, looking at things like what is the
19 frequency of say broken rollers or accumulation of
20 combustible materials or whether or not dust controls
21 are functional and so on.

22 You know, a better line of defense is if we
23 can prevent fires then we don't have to worry about
24 atmospheric monitoring systems or things of that sort
25 functioning. That would be a better way to get safer

1 mines is to take a look at the prevention side of
2 things.

3 Another issue that hasn't been discussed
4 much is that implied in the use of belt air for
5 ventilation -- and more than implied; it was stated
6 here yesterday and today -- is that there would be a
7 reduction in the number of intake entries and
8 generally supported because it would improve ground
9 control and make ventilation more efficient and so on.

10 At the same time, if you reduce the number
11 of intake entries you reduce the number of escapeways,
12 and that is inherently a decline in safety. I'd like
13 to get a better understanding of what the implications
14 are of fewer entries. I don't know who might address
15 that.

16 A third issue, more procedural, we've heard
17 a lot from the folks at MSHA, particularly in Tech
18 Support. It's been very enlightening and I appreciate
19 the time and effort they've put into that, but NIOSH
20 has a lot of expertise in this area. They've look at
21 it also. I'd like a list of names and contacts and
22 topic areas of NIOSH people that can speak to this
23 issue as well.

24 You know, Jeff Kohler gave us this memory
25 stick with a lot of documents on it, which I

1 appreciate, but I'd like to attach some names to that
2 too because I want to follow up on some of these
3 things.

4 MS. ZEILER: Okay. I'll just mention one
5 thing. We do have Robert Timko from NIOSH who's on
6 our staff.

7 DR. WEEKS: I understand.

8 MS. ZEILER: Those kind of questions could
9 also go through him, but we'll address what you've
10 asked for.

11 DR. MUTMANSKY: Thanks, Jim. I appreciate
12 it.

13 Now, the next guy I have never known to be
14 caught off guard so, Jurgen, what would you like to
15 say?

16 DR. BRUNE: I had a couple minutes here to
17 prepare my thoughts, but what I would like to address
18 and have addressed and really this committee and the
19 public to understand is that there are some
20 fundamental issues -- physics -- about mine
21 ventilation that I would like to better understand and
22 shine the light on to make sure that we understand.

23 For instance, things about pressuring the
24 track or intake air of the belt to make sure that any
25 smoke that happens to be in the belt entry is

1 contained in that belt entry and does not migrate
2 through stoppings and leakage into the intake or track
3 escapeways.

4 One other thing that has not been discussed
5 here, and I'm not sure if it's still the case today,
6 but there may be mines still that have common entries
7 where belt and track is carried in common entries. Is
8 that still the case?

9 MR. KNEPP: That's very rare I think
10 anymore.

11 DR. BRUNE: Yes. I mean, especially in
12 those cases where the track then is potentially used
13 as an escapeway, that would make an issue if you have
14 a belt fire. Then you're automatically in the smoke
15 and can no longer use that track as an escapeway.

16 Those are some of the issues that I would
17 like to have addressed in connection perhaps with the
18 function and the capabilities of the atmospheric
19 monitoring system because that becomes a much more
20 critical element in situations of this nature where
21 you cannot guarantee that the belt air is going to
22 contain the smoke away from travelways that are
23 potentially used in escape.

24 DR. MUTMANSKY: Jurgen, is that all you have
25 to say?

1 DR. BRUNE: Yes, for now that's all.

2 DR. MUTMANSKY: Thank you.

3 Jerry, how about yourself?

4 DR. TIEN: Well, between the chairman and
5 the other members I think you have covered most of the
6 issues I'm interested in for now, but I am interested
7 in one of the things we'll be addressing in further
8 detail, and that is the second one, AMS capabilities
9 and issues.

10 I spoke to Bill yesterday, and Bill and his
11 colleagues have done certain surveys back in the past,
12 three times, as far as the application of these AMS
13 systems. I'm just curious about the latest and the
14 level of sophistication, the level of usage in the
15 field, the background information.

16 If you could provide such data, that would
17 be quite helpful to me. Thank you.

18 DR. MUTMANSKY: And now, Felipe, if you'd
19 also give us your thoughts?

20 Thank you, Jerry.

21 DR. CALIZAYA: Okay. I have a couple of
22 comments to make. One is regarding the number of
23 mines that are involved with this belt entry.

24 In other words, I'm sure MSHA has a list of
25 mines that are using this system, and some of them are

1 used for intake. In other cases they're used for
2 return. It would be helpful for us to have those
3 statistics.

4 DR. MUTMANSKY: Yes. Linda, I was going to
5 ask you for that later, but maybe it can be done at
6 this particular point in time.

7 Last night we were discussing the issues of
8 how many mines are currently using belt air at the
9 face, how many mines are using systems that reverse
10 the air on the belt and how many mines used to use
11 belt air at the face but have reversed it voluntarily
12 to improve dust or other conditions.

13 If those statistics are available to the
14 committee, it would be very helpful.

15 DR. WEEKS: Somewhat along those same lines,
16 it would be helpful to have an up-to-date list of the
17 number of mine fires or belt fires.

18 MR. MUCHO: In addition with that list of
19 the mines using belt air, I would actually like to
20 know what the actual mines are.

21 We suspect we know the general outline of
22 who they are and so forth, but would like to see that
23 especially post 75.350 as to what kind of mines are we
24 really dealing with.

25 DR. MUTMANSKY: Yes. Linda, when doing that

1 it would be helpful to us also to know how many of the
2 mines are longwalls with two entry systems and three
3 entry systems and so forth. I think that becomes a
4 very important issue when you deal with two entry
5 mines.

6 Jerry?

7 DR. TIEN: Yes. I'm pretty sure that this
8 is redundant. I just want to make sure.

9 On the list in addition to the name of the
10 mines and any other relevant ventilation related
11 issues, the quantities, the velocities, all the things
12 that will help us understand more. That would be
13 helpful.

14 MS. ZEILER: Okay. I'll of course need to
15 get with staff and the solicitors. Anything we can
16 give you along these lines that's publicly available
17 we will provide.

18 DR. MUTMANSKY: One of the things is we have
19 not read everything you've given us yet.

20 MS. ZEILER: Right.

21 DR. MUTMANSKY: So there may be some of that
22 information in there. If so, just point it out to us
23 because we haven't had time yet to read the material
24 that you have already sent.

25 Felipe, do you have any other comments that

1 you'd like to make?

2 DR. CALIZAYA: No.

3 DR. MUTMANSKY: Thomas?

4 MR. MUCHO: Just quickly on the belt
5 flammability materials issue, one of the main areas of
6 interest there is that since the belt air rules were
7 first proposed sometime ago in 1991, belt flammability
8 rather rules proposed, we've kind of been in a vacuum
9 in terms of what's happened in the world in that area
10 so we're really interested in an update as to what's
11 happened in terms of belts, how they're now produced,
12 the compounds that are being used today, what the
13 experience is either in the U.S. if people are running
14 those kinds of belts or internationally with the
15 latest and greatest in fire resistant belts.

16 That's the kind of slant we'd really like to
17 know. What's the situation today? That's it.

18 DR. MUTMANSKY: Okay. Well, here we are.
19 We're sitting here now, and we've given you a lot of
20 our thoughts. I didn't realize that we weren't going
21 to take any comments this afternoon. I apparently
22 either didn't pay attention or in some other way
23 missed out on that particular information, so I'll
24 apologize for the fact that we don't have a lot to
25 say.

1 I think it's very important for us to say
2 that this committee is intensely interested in being
3 educated on all the issues. When we go to Pittsburgh
4 we hope to spend two and a half days on all aspects of
5 the topics that you see here, and then at that
6 particular point in time we hope to have another
7 meeting scheduled in subsequent months.

8 We have only tentatively said that maybe mid
9 May would be the right time for that meeting. We have
10 no location decided. We're trying to schedule these
11 meetings. Initially we'll be educating this committee
12 on every aspect of the belt air problem.

13 Ideas that you might have would be welcome.
14 At this point in time we won't be taking them, but
15 Linda will be happy to take the comments that you
16 might have, and in the future meetings there will be
17 time for public comment. At that particular point in
18 time the committee would certainly encourage anybody
19 with something to say to get up and say it.

20 There would be a limited amount of time at
21 the two and a half day meeting to do that, so we would
22 suggest that you organize your thoughts either through
23 an organization or through the union or through other
24 organizations and at that particular point in time
25 hopefully present the message in a unified manner. It

1 will help the committee if you can do it in that
2 manner.

3 Are we going to take questions?

4 MS. ZEILER: No. We can't do that either.

5 DR. MUTMANSKY: The answer is no.

6 MS. ZEILER: Right.

7 DR. MUTMANSKY: How many solicitors do we
8 have here? More than enough. Is that it? More than
9 enough. The answer is more than enough.

10 MS. ZEILER: No. I think you've done a
11 really good job of capturing a lot of information
12 gathering that we can do for you as the committee.

13 You've been at a disadvantage here at your
14 first meeting in being dumped on with a lot of data
15 you haven't had a chance to look at, so I think this
16 is a really good start. We know when you'd like to
17 have the next meeting. I'll be accepting the input
18 from the people you've requested send me ideas that
19 they think the committee should pursue.

20 I will be sharing that of course with you,
21 and that will help us frame what the content of the
22 next agenda will be, so I think we've made a good
23 start.

24 DR. MUTMANSKY: Okay. Thank you, Linda.

25 Any more comments?

1 DR. WEEKS: Is there any way to get some AMS
2 logs? I mean, I'm sure there is. They exist. Can we
3 get our hands on it? I just need to get --

4 MALE VOICE: Is somebody saying yes over
5 here?

6 MS. ZEILER: Bill is nodding yes. We'll add
7 that to the list.

8 Yes?

9 DR. BRUNE: One more thing that came to my
10 mind that I was thinking about the past two days.

11 One thing from an operator standpoint. I've
12 been in mining operations, and I've dealt with both
13 having belt air to the face and then having belt air
14 away from the face.

15 One difficulty in coursing belt air to the
16 face is that the task of rock dusting on the belt to
17 cut down the possibility of having the coal dust
18 explosion on the belt line is made very difficult
19 because that rock dust naturally travels to the face,
20 which keeps the face crew and any maintenance crews
21 from working there.

22 What you have to do, the mine operators will
23 have to do, is rock dust during off shifts when there
24 is nobody on the face that would be affected by this
25 rock dust.

1 I would like to understand if that is a true
2 issue in managing the rock dusting in the mine and on
3 the belts, if belt air to the face or away from the
4 face has an impact on the quality of explosion
5 proofing your belt line by rock dust.

6 DR. MUTMANSKY: Any other comments by
7 members of the panel?

8 (No response.)

9 DR. MUTMANSKY: Ms. Zeiler, I think we ought
10 to call the meeting to a close.

11 MS. ZEILER: That's certainly your job as
12 the chair.

13 DR. MUTMANSKY: Okay. I hope to see more of
14 you in upcoming meetings, and we will welcome your
15 comments at that time. Thank you for coming.

16 (Whereupon, at 1:35 p.m. the briefing in the
17 above-entitled matter was concluded.)

18 //

19 //

20 //

21 //

22 //

23 //

24 //

25 //

REPORTER'S CERTIFICATE

DOCKET NO.: --

CASE TITLE: TECHNICAL STUDY PANEL ON THE
UTILIZATION OF BELT AIR AND THE
COMPOSITION AND FIRE RETARDANT
PROPERTIES OF BELT MATERIALS IN
UNDERGROUND COAL MINING

HEARING DATE: January 10, 2007

LOCATION: Washington, D.C.

I hereby certify that the proceedings and evidence are contained fully and accurately on the tapes and notes reported by me at the hearing in the above case before the United States Department of Labor, Mine Safety and Health Administration.

Date: January 10, 2007

Christina Chesley
Official Reporter
Heritage Reporting Corporation
Suite 600
1220 L Street, N.W.
Washington, D.C. 20005-4018

Heritage Reporting Corporation

(202) 628-4888