





## PARTICIPANTS (continued):

GARY TYDINGS, Stolar Research Corp.  
BATTLE BROWN, QuickStart Wireless  
(Carnegie Mellon)  
WILLIAM COLLINS, WCC Solutions  
BRIAN WILSON, MineCom - Australia  
ALAN FISHEL, Arent Fox, PLLC  
DENNIS O'DELL, UMWA  
JIM PONCEROFF  
CRAIG CARPENTER, UMWA  
LARRY TENNEY  
JOHN JORDAN, Central Mine Rescue  
DONALD JACK  
DOUG WADE  
RICHARD COSNER  
JOHN BOWERSOX  
TIM BAKER

P R O C E E D I N G S

1

2

(8:31 a.m.)

3

4

5

6

7

8

9

10

MR. STONE: Good morning. My name is Robert Stone. I'm the acting director of MSHA's Office of Standards, Regulations, and Variances. On behalf of David Dye, the acting assistance secretary of labor for mine safety and health, I would like to welcome you to this public meeting today being held at the National Press Club in Washington, D.C..

The devastating loss of 12 miners at the Sago Mine explosion in West Virginia on January 2, 2006, and the two miners who did not escape successfully from the fire at Ericomo No. 1 Mine on January 19, 2006, clearly highlight the critical value of mine rescue operations following a serious mine accident. While MSHA is still investigating the cause or causes of these accidents and continuing a detailed evaluation of the emergency response, we are looking for ways to maximize mine rescue responses and improve opportunities for miners to survive after an accident occurs. Specialized equipment and technology are vital for effective, underground mine evacuation and rescue.

24

25

The key components of communications and tracking of miners are the focus of today's meeting.

1 On January 25, 2006, MSHA published a request for  
2 information in the Federal Register asking for  
3 comments, data, and other information on a variety of  
4 topics concerning underground mine rescue equipment  
5 and technology. Those topics included, among others,  
6 rapid deploy systems, breathing apparatus and self-  
7 contained self-rescuers, rescue chambers,  
8 communications, robotics, and thermal and infrared  
9 imagers. We have received over 35 comments to date.  
10 You can view these comments on our Web site.

11           The purpose of this meeting is to complement  
12 the request for information by obtaining technical  
13 information from the knowledgeable mining community on  
14 technologies used for underground communications and  
15 tracking. This information will better enable us to  
16 evaluate which actions to take to most effectively  
17 improve mine evacuation and rescue capabilities  
18 consistent with our responsibilities under the Federal  
19 Mine Safety and Health Act of 1977.

20           A notice of this public meeting was  
21 published in the Federal Register on February 23,  
22 2006. We have copies of both the request for  
23 information and public meeting notices at the back  
24 registration table outside the room.

25           The meeting format is as follows: Two of

1 our panelists will give their presentations first.  
2 Next, those of you who have notified us in advance of  
3 your intent to speak will be allowed to make your  
4 presentations. Following these presentations, as time  
5 permits, others who requested an opportunity to speak  
6 will be allowed to do so. We invite all interested  
7 parties to present their information at this meeting,  
8 and if you are sitting in the audience now and wish to  
9 speak, please sign in at the registration table.

10           We must vacate this room no later than 5  
11 p.m. today. Subject to that time limit, we will  
12 remain in session today until everyone who desires to  
13 speak has had an opportunity to do so. If you are not  
14 speaking today, we would also like you to sign the  
15 attendance sheet so that we have an accurate  
16 attendance record of today's meeting.

17           Following MSHA practice, formal rules of  
18 evidence will not apply at this meeting. The MSHA  
19 panel may ask questions of speakers. I may limit the  
20 questions of the panel for the sake of time. As is  
21 our usual practice and because of time constraints, we  
22 will not be accepting questions from the audience;  
23 however, if you do have questions, we would be happy  
24 to speak with you during the breaks. I request that  
25 members of the press refer any questions they might

1 have to MSHA's press officers, Dirk Philpott, standing  
2 over there, who will be available in the morning, and  
3 Amy Lumiere, who will be available in the afternoon.  
4 They will be available directly outside this room and  
5 including during breaks and at the end of this  
6 meeting.

7           We plan to have one ten-minute break in the  
8 morning and one in the afternoon, as well as a 30-  
9 minute break for lunch.

10           If you have a PowerPoint presentation,  
11 please see Celina outside when the previous speaker is  
12 beginning to speak. When I call on you to speak,  
13 please come to the speaker's table and begin your  
14 presentation by identifying yourself and your  
15 affiliation for the record.

16           Due to the large number of speakers that  
17 have already signed up and our 5 p.m. time constraint  
18 for the use of this room, we must strictly limit the  
19 amount of time for each presentation to 15 minutes.  
20 Fifteen minutes will be the total for any company,  
21 organization, or association. I will give a hand  
22 signal to indicate when five minutes remains and  
23 another one when one minute remains. When no time  
24 remains, I will state that the time is up.

25           If you have a prepared statement or any

1 supporting documents or presentational materials that  
2 you wish to submit for the record, please leave a copy  
3 with me today. We will accept written comments and  
4 information at this meeting from any interested party,  
5 including those who are not speaking. You can give  
6 written comments on this meeting to us today, or you  
7 can send them to MSHA's Office of Standards  
8 electronically, by facsimile, by regular mail, or hand  
9 delivery using the address information in the request  
10 for information.

11           The post-meeting comment period on today's  
12 topics will end concurrently with the comment period  
13 stated in the request for information, March 27, 2006,  
14 and submissions must be received by that date.

15           A verbatim transcript of this meeting will  
16 be made part of the record. It will be posted on  
17 MSHA's Web site, [www.msha.gov](http://www.msha.gov), in a couple of days.  
18 If you would like a copy sooner, you can make your own  
19 arrangements with the court reporter.

20           Let me also add that MSHA and the National  
21 Institute of Occupational Safety and Health will host  
22 a workshop on issues and concerns mentioned in the  
23 request for information. The focus of that workshop  
24 will be mine escape planning and emergency shelters in  
25 the mining industry. The workshop will be held on

1 Tuesday, April 18, in Washington, D.C. We will be  
2 publishing a Federal Register notice soon that will  
3 formally announce this workshop.

4           At this time, I would like to introduce  
5 others from MSHA on the panel with me today. On my  
6 left is Dave Chirdon, the chief of the Electrical  
7 Safety Division at the Approval and Certification  
8 Center. Mr. Chirdon is also attending as a presenter  
9 and panelist. His presentation will deal with  
10 emergency communication and tracking systems.

11           On his left is Steve Luzik, the Technical  
12 Support Center chief at our Approval and Certification  
13 Center. Mr. Luzik is also attending as a presenter  
14 and panelist. His presentation will deal with the  
15 approval process.

16           On my right is Bob Snashall from the  
17 solicitor's office.

18           The first speaker on our panel today is Dave  
19 Chirdon, and he will be discussing MSHA's efforts to  
20 evaluate communications and tracking technologies.  
21 Dave?

22           MR. CHIRDON: Thank you, Robert, and good  
23 morning, everybody. As Robert mentioned, my name is  
24 Dave Chirdon, and I'm the supervisor of the Electrical  
25 Safety Division, at MSHA's Approval and Certification

1 Center. I have a brief presentation today to talk  
2 about what MSHA is doing to evaluate and advance the  
3 technology of mine communications and tracking.

4 Before I get started, I did want to make a  
5 couple of points about underground communications.  
6 Underground communications and tracking, in and of  
7 itself is a challenge. The conditions that we're  
8 facing when we're evaluating communications and  
9 tracking for emergency usage are that you would have  
10 no power available at that time and also that any fire  
11 or explosion would have removed any cables or wire  
12 infrastructure that that communication system works  
13 with. So the challenge of providing communications  
14 from the surface to underground in an emergency is a  
15 serious one, but I think the evaluation that we're  
16 conducting has uncovered some technologies that can  
17 work under that situation, under those conditions.

18 The activities that MSHA is currently  
19 undergoing to address the emergency communications and  
20 tracking issues: The first is we're investigating the  
21 Mine Site Technologies PED and Tracker systems. Since  
22 the incidents at Sago and Ericomo, there has been a  
23 lot of talk about the PED and tracker are approved by  
24 Mine Site Technologies. We wanted to take a look at  
25 these devices and see what the actual capabilities of

1 those systems are. So we've been evaluating them by  
2 visiting mines, and I'll talk about that a little bit  
3 more.

4           The other thing that MSHA has been doing is  
5 evaluating available new technology. Since the  
6 incidents, we have solicited proposals from the  
7 industry from manufacturers and from other  
8 organizations, and as of now, we have received about  
9 80 proposals for different communications technology.  
10 We solicited these proposals over the MSHA Internet,  
11 and as of Friday, we've had 81 different proposals for  
12 emergency communications and tracking. We've been  
13 reviewing these proposals and have been arranging  
14 field testing of certain proposals, and I'll talk  
15 about that a little bit more as well.

16           Now, as far as our investigation of the Mine  
17 Site PED and Tracker systems, so far, we've looked at  
18 the PED installations at Peabody's Air Quality and 20  
19 Mile Mines. We've also looked at the installations at  
20 Blacksville and Robinson Run Mines. Now, those four  
21 installations that we investigated had the antenna for  
22 the system installed underground, so in those  
23 situations, that paging system could be used to  
24 communicate under normal conditions, but in the event  
25 of an explosion, you would have to assume that the

1 antenna would probably be severed, and the  
2 communications would be lost.

3           The one installation in the United States  
4 that does have that antenna installed on the surface  
5 is the BHP San Juan Mine in Farmington, New Mexico.  
6 We went out and looked at that installation. In that  
7 case, that system could continue to operate in the  
8 event of a fire or explosion because that antenna is  
9 located on the surface and would not be susceptible in  
10 a fire or explosion.

11           Now, the tracker is another Mine Site  
12 Technologies, MSHA-approved device; however, it's not  
13 currently in us anywhere in the United States, so we  
14 sent a team of investigators over to Australia to  
15 investigate the performance of that Tracker system.  
16 They are probably in the air returning right now, so  
17 we're anxious to hear their results.

18           Now, the preliminary findings on the pros  
19 and cons of the PED, and this is before we've actually  
20 compiled all of the results of our mine visits, the  
21 pros of the Mine Site Technologies PED are that it can  
22 send evacuation instructions to the miners in the  
23 early stages of a fire. In the case of situations  
24 where that antenna is installed underground, you would  
25 be able to send instructions to the miners before that

1 antenna was damaged. Another advantage of the PED  
2 system is that it can be retrofitted for any of the  
3 existing cap lamps: Kohler, Northern Lights, and MSA.  
4 There is an MSHA-approved retrofit for all three of  
5 those cap lamps.

6 Another possible with the PED is that if you  
7 have the underground antenna installation, that in the  
8 event of an emergency, and you lost that antenna, you  
9 could rapidly deploy a surface antenna to reestablish  
10 communications with that tracking system.

11 Now, some of the cons we've seen with the  
12 PED system: Number one, as I mentioned, if you have  
13 that antenna installed underground, it could be  
14 compromised in the event of a fire or explosion.  
15 There are reports of some places in the mine where you  
16 can't receive the signal. They are referred to as  
17 "shadow zones." It can also cause interference  
18 problems with existing mine communications systems.  
19 The communications are limited to one way. The paging  
20 system can only provide a signal to the miner. There  
21 is no way the miner can confirm that he has received  
22 that message. That's a limitation of the PED system.

23 Now, preliminarily, as far as the pros and  
24 cons of the Tracker system go, it is based on an  
25 antenna that is installed underground as well. It

1 cannot use a surface antenna, so you would have to  
2 assume, in a fire or explosion, you would lose the  
3 connectivity of that system. In that case, the  
4 advantage of the system in the event of an emergency  
5 would be that it could at least provide you with the  
6 last known location of the people underground prior to  
7 losing the power and the signal.

8           Some of the negatives, as I've mentioned,  
9 with that Tracker system are that it cannot provide a  
10 precise location of the people underground; it just  
11 can tell you what the last node that the miners passed  
12 was, so it couldn't tell you exactly where they are  
13 located, and it would become nonoperational in the  
14 event of a loss of power.

15           Now, as far as these 80 proposals that we've  
16 received, we've evaluated all 80 of those proposals  
17 closely, and we selected several of those for further  
18 field testing just to get a cross-section of the  
19 capabilities and the different technology that's  
20 available right now.

21           Now, what we were looking for when we  
22 selected those systems for tests were a number of  
23 things. Number one, we wanted to see what the system  
24 capabilities were. So we were looking for something  
25 that if it was a tracking system, could provide

1 precise tracking, and if it was a communications  
2 system, we were looking for something that could  
3 provide two-way communications, something that you  
4 could talk back and forth on or provide a response to  
5 a received message. We were looking for something  
6 that could survive in an explosion. Because of that,  
7 we were looking for the wireless systems, systems that  
8 don't rely on some type of wire backbone.

9           We were also looking at these 80 proposals  
10 and considering the state of development in which they  
11 were in. If it was just a concept, of course, we were  
12 not interested in field testing that at this point.  
13 So we were looking for things that were marketable as  
14 of now.

15           And then the fourth thing we were looking at  
16 when evaluating these 80 proposals was something that  
17 could possibly comply with MSHA requirements.

18           Now, we have some field testing scheduled on  
19 these systems that we've selected, and some of the  
20 things that we're going to be looking at when we go in  
21 to field test: Number one, we want to see how well  
22 the signal propagates. If it's based on these  
23 wireless nodes that are installed underground, we want  
24 to see what the range of each of these nodes is so you  
25 don't have to install one every 50 or 100 feet

1 underground. We also want to look at how much  
2 overburden the systems can penetrate. If they are  
3 only good for up to 200 or 300 feet, then there is not  
4 going to be too many cases where they could be used  
5 underground.

6           We want to see how well the systems can  
7 provide mine coverage. Are there a lot of dead zones  
8 underground, or can they cover all areas of the mine?

9 We've also got to look at interference issues.  
10 You're going to be adding a lot of new communications  
11 waves and frequencies underground, so you've got to be  
12 careful about what type of interference they cause.  
13 One of the big concerns is will they interfere with  
14 any blasting operations?

15           Then, as far as any tracking systems that  
16 we're looking at, we want to see how precisely they  
17 can track the individual. If they can only tell you  
18 within 1,000 feet of where the person is located, they  
19 are not as useful as if they could get it down to plus  
20 or minus several feet.

21           So out of those systems that we've selected  
22 for testing at this time, these are the technologies  
23 that are represented. There are several wireless,  
24 node-based systems that use different IEEE protocols,  
25 the 80211 and the 80215. We're also looking at an

1 ultra wide-band communications and tracking system  
2 that has great potential, and then we're looking at a  
3 number of these low frequency, narrow band, through-  
4 the-earth type of systems.

5           That's the end of my presentation. I  
6 appreciate your attention.

7           MR. STONE: Thank you, Dave. I should note  
8 that we have copies of Dave's presentation at the  
9 registration table, as well as copies of the  
10 presentation for the next speaker, who will be Steve  
11 Luzik. Steve will be discussing MSHA's approval  
12 process. Steve?

13           MR. LUZIK: Thank you, Robert.

14           I would like to take a few minutes this  
15 morning to go over our approval process for the  
16 benefit of the press in the room and some of our  
17 manufacturers who have not yet come through the MSHA  
18 approval process. Hopefully, we can get some answers  
19 on what the approval process is and what it is not.

20           What does "approved" mean? An MSHA approval  
21 basically is an official notification that we have  
22 approved the device under consideration, and it has  
23 met our requirements with respect to the applicable  
24 part, and we have several parts that cover various  
25 classes of products and equipment, but for purposes of

1 the discussion today, most of you will be interested  
2 in Part 23, which is the communication standard for  
3 telephones and signal devices.

4           A favorable evaluation and approval  
5 certificate would indicate that with respect to this  
6 particular product, no probable explosion hazard would  
7 exist under normal operations when used in gassy and  
8 dusty atmospheres. This is an important bullet here,  
9 and if you get nothing else out of the presentation,  
10 remember this: In the case of communication  
11 equipment, we have no performance requirements. We're  
12 strictly looking at the product from the standpoint of  
13 being permissible in terms of not presenting an  
14 explosion hazard. And that's the reason we're all  
15 here today, and as Dave mentioned, we're looking at  
16 some communications systems so that we can get to the  
17 practical aspects of the systems, how well they will  
18 perform. Also, an approval is not an endorsement by  
19 our agency.

20           The categories of underground equipment that  
21 we look at principally apply to what we call "in-by  
22 equipment." In-by equipment is equipment that is used  
23 in the areas of the mine that is mining coal where we  
24 have methane gas and fine dust being generated. The  
25 areas closer to the portal out by that area; those

1 particular classes of equipment do not require our  
2 approval.

3           There is a whole bunch of different types of  
4 products that we do approve, but we're going to  
5 confine ourselves, again, to the communications  
6 equipment, which consists of hand-held radios, mine  
7 pager phones, longwall face communications systems,  
8 leaky feeder communications systems, and systems of  
9 that nature. We also look at small instruments in  
10 terms of classes of equipment like noise meters,  
11 electrical measurement instruments, dust monitors, et  
12 cetera.

13           The next couple of slides are going to talk  
14 about specific classes of equipment that we have  
15 approved at MSHA. Basically, there's four classes.  
16 We have mine pager phones, leaky feeder systems, hand-  
17 held portable radios, and other types of communication  
18 devices.

19           We've approved five different types of mine  
20 pager phones, and you can see them on the slides. MSA  
21 has a system, Gal-tronics, Conspec, Pyatt-Boone, and  
22 Mine Safe Electronics.

23           In terms of leaky feeders, and, again, for  
24 the benefit of those out there that might not be  
25 familiar with that term, leaky feeder systems are two-

1 way-radio systems that feature a base station on the  
2 surface that communicates with individuals via  
3 underground radio units, such as walkie-talkie. To  
4 allow the RF to function underground, it's necessary  
5 to replace a standard surface antenna system with a  
6 cable network, and the cable is designed to leak  
7 signal, if you will, which allows radio frequency  
8 transmissions to leak both from the cable and also to  
9 the cable. These systems are generally used for both  
10 data and voice communications. So it requires an  
11 infrastructure and also a communication device. In  
12 most cases, it's a walkie-talkie.

13           There are four leaky feeder systems that  
14 we've approved at this point in time: the Mine Radio  
15 systems, the Flexcom system; Mine Technologies has a  
16 system; DAC, and L Equip.

17           At this point in time, we do not have any  
18 two-way communication devices that are being supported  
19 in underground mines. Motorola had two versions of a  
20 two-way Walkie-Talkie. They are no longer supporting  
21 those versions. They are no longer available. But  
22 the good news is we are in the process of evaluating a  
23 couple of two-radios for approval, and hopefully, in  
24 the very near future, we'll have at least one of those  
25 available as an option.

1           Other types of communication devices that  
2 we've approved, and Dave has spoken about those a  
3 little bit right before me: the PED system, which has  
4 basically been approved on three manufacturers' cap  
5 lamps as a retrofit, and also the TRACKER IV TAG 4  
6 system. Now, in the case of the TRACKER TAG IV  
7 system, we have approved the transmitting devices.  
8 You may have seen those in the news. They send a  
9 signal out to a beacon unit, which can register the  
10 presence of a miner passing that beacon. We have not  
11 approved the beacon. The beacon is used in out-by  
12 areas that do not require our approval. So that is  
13 another viable option, although it's not being used at  
14 this point in time in any of our mines.

15           The approval process, in terms of Part 30,  
16 there are a couple of important things you need to  
17 know. Number one, the systems must be either  
18 explosion-proof or intrinsically safe. An  
19 intrinsically safe system, in and of itself, does not  
20 produce enough energy, either under normal or fault  
21 conditions, to ignite either methane gas or coal dust.  
22 If the system cannot meet that requirement, it can be  
23 placed in boxes, explosion-proof enclosures, which  
24 would prevent any ignition that might occur within  
25 that enclosure from propagating outside the enclosure.

1 Normal signaling systems would fall under the IS,  
2 intrinsically safe, area of the approval standard.

3           These systems must be supplied with back-up  
4 power supply in the event of a power outage, and,  
5 again, the entire system must be either IS or XP in  
6 the event of loss of ventilation to be used  
7 underground.

8           The approval process consists of a couple of  
9 different steps. To begin the evaluation, an  
10 applicant would submit an approval letter, along with  
11 the appropriate drawings of specifications and any  
12 quality-assurance information. The Approval and  
13 Certification Center today is largely a paperless  
14 process. Manufacturers can submit their applications  
15 online. They can submit them via e-mail, and it's a  
16 very quick process. The information is dumped in  
17 specific folders that are assigned to our  
18 manufacturers, and the engineers can work back and  
19 forth in an electronic format, and it tremendously  
20 expedites the process.

21           To begin the process, our engineer would  
22 take a look at the application and provide the  
23 applicant with a fee estimate. This would be a rough  
24 idea of what we think it would take to complete the  
25 investigation in terms of dollars. The manufacturer

1 would get that, and if he comes back to us with an  
2 authorization, we would begin the investigation.  
3 Normally, we are conservative in these fee estimates,  
4 but if it gets to a point that there is a number of  
5 discrepancies, and we have to spend more time, we may  
6 need to go back to him at a point down the road and  
7 say, your fee estimate has been exceeded, and then he  
8 needs to give us authorization to add additional  
9 monies to the investigation so we can proceed.

10           The investigators -- we have 11 or 12  
11 electrical engineers and technicians that are assigned  
12 to these jobs. They review basically the product for  
13 compliance with the applicable standard. And, again,  
14 if necessary, discrepancy letters are sent. This  
15 isn't a process that can happen in a week or two, but  
16 if the product up front meets our requirements,  
17 generally we can get through the system in a couple of  
18 months, two to three months. If discrepancies are  
19 identified, and in some cases, it may require  
20 redesign, the process can go on for extended periods,  
21 and this happens on occasion, particularly when the  
22 manufacturer has not come through our system and may  
23 not be familiar with our requirements.

24           I can say this up front. We are definitely  
25 committed to getting these new technology devices in

1 underground mines, and Dave and I have made a  
2 decision. We have a policy that any applications for  
3 these systems will be put in a special queue and will  
4 be given priority considerations.

5           The Part 23 approval system; there are some  
6 benefits we can take advantage of. Recently, about  
7 two years ago, we promulgated a Part 6 regulation that  
8 allows us to accept testing and evaluation results  
9 conducted by independent laboratories according to our  
10 approval standards. At this point in time, we have  
11 two or three recognized independent laboratories, so  
12 if somebody has a product that they want to have  
13 approved, they can go to somebody like UL, have them  
14 conduct the tests, submit the results to us, and that  
15 can be a time savings. If the device has been  
16 approved to UL or FM standard, many of the tests that  
17 that standard required are similar to the tests we  
18 would require, so we would have a time savings that  
19 can be realized there.

20           Another part of the process requires us to  
21 inspect the prototype product according to the  
22 submitted documentation. I might throw in that we're  
23 currently looking at other standards out there in the  
24 world that could be equivalent to ours, either in  
25 their original form or with enhancements, as

1 alternatives to our approval requirements. We're  
2 going to be publishing the results of an IEC  
3 evaluation that we did in the explosion-proof area,  
4 and we're also looking at the IECIS standards right  
5 now. So this could be somewhere down the line both a  
6 cost and time savings benefit.

7           The quality-assurance requirements of the  
8 program: Basically, the approval holder is  
9 responsible for producing the products in accordance  
10 with the approved drawings and specs. For all of our  
11 products and equipment, we have a post-approval audit  
12 program, and another important point is that after the  
13 product is sold to the mining operator, it's the  
14 responsibility of that operator to maintain the  
15 approval in accordance with our approval.

16           If anybody would like any specific  
17 information regarding our application requirements or  
18 our approval standards, they can visit this site, and  
19 we have our standard application procedures and also  
20 our test guidelines. I believe we're going to make  
21 this information available through Starpoint  
22 Presentations.

23           MR. STONE: Yes. They are outside.

24           MR. LUZIK: Very good. Well, that concludes  
25 my presentation. I thank you for your time.

1 MR. STONE: Thank you, Steve.

2 I will now call speakers from the audience.

3 Please come to the speaker's table and begin by

4 spelling your name and stating your affiliation.

5 Remember that we must strictly limit presentations to

6 15 minutes. Our first speaker from the audience is

7 Mike Koester.

8 MR. KOESTER: Thank you. My name is Mike

9 Koester, and the last name is spelled K-O-E-S-T-E-R.

10 I'm the general manager of the Americas for Mine Site

11 Technologies. I'm going to go through this

12 presentation a little bit quicker than I was planning

13 to because of the time constraints, but I think we

14 should be able to get a pretty good point across.

15 I would like to thank you for the

16 opportunity to speak here today. Since late January,

17 we've heard about a lot of the benefits and a lot of

18 the limitations of the PED and Tracker system that are

19 being used throughout the world, and what I want to do

20 today is basically review those products and try and

21 set the record straight in some aspects. These

22 systems are being used around the world every day by

23 thousands of miners.

24 Our mission is enhancing safety and

25 production, and, again, I'm going to skip through this

1 one just in the interest of time.

2           Our product that we manufacture is the PED,  
3 which is a personal emergency device. It's a text-  
4 messaging system to every miner underground. We also  
5 manufacture a Tracker system; an ICCL, which is  
6 integrated camp lamp, which includes the PED and  
7 tracker tags. We do an ImPact, which is a wireless  
8 technology. You saw some of the references to  
9 applications for approval. That's basically the 80211  
10 protocol.

11           The VDV is a leaky feeder radio system. It  
12 does have limitations. It's a two-way, voice radio  
13 system, but it's basically line of sight. You can  
14 push it a little bit further than that, but there are  
15 limitations to it.

16           We have over 250 clients in five continents,  
17 and as you can see up here, I've got the PED  
18 installations in Canada. We've got 20 PED  
19 installations in the U.S., 72 PED systems in  
20 Australia. And some of these systems you note here  
21 are 40 blast PED systems where we can actually offer a  
22 product that initiates shots. Hard rock miners set  
23 off their blasts with the PED system as well; it's  
24 that reliable.

25           These are some of our valued customers. We

1 are a true global player. We have a lot of  
2 installations in hard rock mines as well as coal.

3           The person emergency device, the PED unit.  
4 Following a -- explosion in 1986 in Australia, there  
5 were 12 fatalities, and basically the underground  
6 infrastructure was destroyed, pretty much what Dave  
7 alluded to. The development started in 1987, and what  
8 they did is they reviewed a lot of research that was  
9 done by the Bureau of Mines and other institutions  
10 around the world. We also looking at an event that  
11 happened at the Sunshine Mine in Kellogg, Idaho, in  
12 May of '72, when there were 91 miners killed because  
13 of a fire. Basically, there was smoke smelled at  
14 around 11:30, and at 1:30 they were still trying to  
15 notify miners to get out of the mine.

16           The system was arranged to contact  
17 underground miners with a surface antenna, and we felt  
18 that text had more usefulness than verbiage or voice  
19 communication just because of the chaos, the noise, et  
20 cetera, that takes place under ground. The system  
21 became commercially available in 1990, and MSHA  
22 approved it in 1991. Just to quote there at the  
23 bottom, it's kind of difficult to see, but basically  
24 what the U.S. Department of Labor and Mine Safety and  
25 Health Administration has said is that time is never

1 your friend in an emergency.

2           The personal emergency device is a ultra-  
3 low-frequency, mine-wide, text-messaging system. It  
4 is a mine-wide warning system, and, again, it's not  
5 limited to line of sight. It's an everyday  
6 communication tool, and you can send text messages.  
7 It can be remote initiation of blasting from the  
8 surface.

9           Productivity: People contact personnel  
10 wherever they are in the mine. Efficiency through  
11 remote control. We can turn on fans, pumps, et  
12 cetera, with it as well.

13           This is kind of the evolution of the system.  
14 You can see, in 1989, was the first prototype, and as  
15 we progressed through the various stages, this product  
16 right here is available now for the lead-acid battery,  
17 and this is the ICCL. It's a lithium-ion battery.  
18 That unit contains a PED and a tracker tag.

19           In March of this year, we're going to apply  
20 for additional funding to finish research that we've  
21 done on a two-way communications system. We're pretty  
22 far along with it, and we hope to get that done  
23 probably late 2007, maybe 2008.

24           This is a schematic of the system. The PED  
25 system basically detects messages that are sent off of

1 a PC into a modulator, which then transmits that  
2 information to a transmitter, which either can be  
3 located on the surface or underground. You have a  
4 loop antenna. It's strictly just a loop antenna.  
5 It's a number six wire that's laid out into a loop.  
6 The area of coverage depends on the size of the loop.

7 I will state here that this system generates  
8 a continuous, ultra-low frequency, and you've heard  
9 people say that it causes interference with some other  
10 systems, and it will if those other systems are not  
11 grounded, or they are not shielded properly. With  
12 some of our earlier installations, we found this out,  
13 and we've actually helped people work through getting  
14 the noise out of their systems.

15 The system is designed for self-diagnostics,  
16 ground fault, open antenna, and lightning strikes, et  
17 cetera.

18 The PED receivers: You have an ICCL, and  
19 you have an auto PED. You've heard about shadow  
20 zones. Well, with an auto PED, if people are  
21 traveling in a vehicle, it's basically an external  
22 antenna that fits on a vehicle, and that will allow  
23 the message to be received. Then we have control PEDs  
24 and blast PEDs.

25 This is what the unit looks like on a lead-

1 acid battery. You have a liquid crystal display up to  
2 32 characters. You can recall the last two messages  
3 being sent.

4 I want to get into this a little bit more,  
5 spend a little more time on this. This is  
6 communication coverage. This is a mine layout of a  
7 longwall coal mine. You see the loop antenna here, a  
8 loop antenna there, and a loop antenna there. Well,  
9 if you look at the coverage that's provided, phones  
10 basically give you 5 percent. If you go to leaky  
11 feeder, you can maybe get 20 percent. Now, you can  
12 take the leaky feeder and extend it into more entries,  
13 but as Dave said earlier, in the event of a  
14 catastrophic explosion, all of this infrastructure is  
15 going to be taken out.

16 Now, this is what the PED coverage looks  
17 like based off those antennas, and basically that's  
18 given us 98 percent. We've got a little open area  
19 right up there that we're not getting. All we have to  
20 do is extend that antenna there, and we'll get that  
21 area covered as well.

22 This is the Wallarh Colliery in Australia.  
23 This is under a very populated and very heavy, hilly  
24 area. It has a surface antenna, and it is protected  
25 from blasts and a fire. It's a 12,000- and an 8,000-

1 foot surface antenna, and it's powered by one  
2 transmitter, and they get 100-percent coverage.

3           This is Kanowha Belle. This is a hard rock  
4 mine, and you can see this antenna goes down. It's  
5 through a vertical and horizontal configuration. It's  
6 an underground antenna, and it covers the entire depth  
7 of that mine.

8           This is the Moranbah North Coal Mine in  
9 Australia. Again, all we have to do to get broader  
10 coverage is just to increase the loop on the antenna.  
11 This is a 33,000-foot surface antenna.

12           Surface antennas can be used in an  
13 emergency. Like Dave said, if all of this  
14 infrastructure underground is taken out, it just takes  
15 a matter of minutes to lay out another loop antenna on  
16 the surface, and you can start to retransmit again.

17           These are some of the installations, and I'm  
18 not going to go into all of them, but these are just  
19 some of the installations we've got: Cook Colliery in  
20 Australia, 1991; it's a surface antenna. They have 45  
21 pagers. They send 10 to 20 messages per shift. It's  
22 just a regular communication routine in their  
23 production day. You can see Crimum Mine, 280  
24 receivers, 40 to 60 messages a day. Again, Andalex  
25 out in Utah, Genwal in Utah. West Walls in is

1 Australia. You can see the number of pagers, the  
2 receivers that are used. Here we have Co-op, Dougout,  
3 BHP in the U.S., Air Quality, Laurel Mountain.

4 I would like to comment here that we're  
5 getting anywhere from 70-to-100-percent coverage on  
6 these installations. Each individual one is really  
7 dependent on the antenna configuration.

8 In the U.S., we have a total of 18  
9 installations. The first one was installed in 1996.  
10 Again, the shadow zones and so forth is antenna-  
11 dependent. Worldwide, we've got 140 systems, and  
12 that's over 10,000 receivers very day being used.

13 This is the TRACKER tagging system.  
14 Basically, it allows you to know who is in and who is  
15 out of the mine, and you can identify location of  
16 people and equipment within clearly defined zones.

17 The benefits: safety management, people  
18 management, and equipment and asset management.

19 It was approved by MSHA in 2000. This is a  
20 reader/beacon and a tag, which I'm sure you've seen in  
21 the press. The beacon will read up to 150 feet in a  
22 radius, or you can directional it out to about 200  
23 feet. It reads this tag, which is continuously  
24 generating an RFID signal.

25 This would be a typical TRACKER beacon

1 layout of a coal mine. You can see the red boxes.  
2 That's where the beacons would be, so as people  
3 progressed into that mine, you would know their  
4 approximate location, that they were between that  
5 beacon and that beacon, for example. In the event of  
6 an emergency, if the power was still on, and the  
7 infrastructure wasn't taken out, you would be able  
8 monitor their movements out of the mine.

9           This is the Lindstrom Mine in Australia.  
10 They have over 700 tags and 45 beacons in use. They  
11 tag equipment, and they tag people. You can see the  
12 green zones. The green zones, they use for blasting.  
13 If everyone is back in a green zone, and there are no  
14 people in the red zones, then they go ahead and set  
15 off their charges. You can click on a beacon, pull up  
16 information such as who the person is, where his  
17 locations were, what time he passed those locations.

18           These are zone displays you can use to limit  
19 traffic flow, stop signs, et cetera.

20           And, again, just to summarize the tagging  
21 system, it streamlines access control in the  
22 ventilation districts during an emergency. Withdrawal  
23 of personnel can be monitored. When you combine that  
24 with the use of PED, you can actually direct their  
25 egress from the mine. It has the potential to extend

1 into a tagging system that uses proximity detection,  
2 which we will be doing here very shortly. And with  
3 that, I thank you very much for your time.

4 MR. STONE: Thank you.

5 MR. LUZIK: I have one question, Mike. What  
6 would be your expectation of the practical limits,  
7 depth-wise, for a surface antenna installation?

8 MR. KOESTER: Depending on the strata, we  
9 get anywhere from 3,000 to 4,000 feet vertical. Now,  
10 aquifers will impact that to some extent, but we can  
11 say 3,000 to 4,000 feet.

12 MR. STONE: Thank you very much.

13 Our next speaker from the audience is Dave  
14 Beerbower. Would you please come forward?

15 MR. BEERBOWER: I would like to thank the  
16 panel for the opportunity to come and speak from an  
17 operator's standpoint. You've heard the  
18 manufacturers' standpoint. I would like to add our  
19 input because we do have three of these systems  
20 installed worldwide.

21 Peabody Energy is very committed to  
22 improving communications at all of our operations. We  
23 think that the opportunities are there, and we want to  
24 move forward, and we want to be sure that what we're  
25 doing is the right thing to do.

1           We originally started with the PED systems  
2 in Australia at a mine that we have actually purchased  
3 from another operator. The same thing is true at 20  
4 Mile. We have installed our own system at Air  
5 Quality.

6           The PED devices are reliable communications  
7 systems, and I say that with this qualification. They  
8 are reliable, as Mike said, in most cases. They can  
9 deliver one-way text messages to most miners in almost  
10 every location of an underground coal mine, That,  
11 however, differs greatly from what has been proposed  
12 as legislation that says that it must be able to  
13 communicate with all miners in every location  
14 underground.

15           If antennas are located on the surface,  
16 which we do have one of those in Australia, the signal  
17 can be more reliable and can reach more remote areas  
18 of the mine. There are some setbacks to that type of  
19 a system, however. In Australia, it works well  
20 because our mine is rather remotely located, and we  
21 actually just lay the antenna on the ground above the  
22 mine because we own the surface.

23           In our mine in Colorado and the other one in  
24 Indiana, that is not the case, and particularly  
25 because of, in the 20 Mile case, because of the

1 topography in which we find ourselves, it makes it  
2 very, very difficult to locate a surface antenna there  
3 as well as property issues. And in the Air Quality  
4 Mine, because of the surface areas being farm land and  
5 private property, again, we have found that it makes  
6 more sense for us here in the United States to place  
7 those antennas underground.

8           Obviously, when you place the antennas  
9 underground, that introduces -- as has been said, the  
10 mine environment then takes its toll in the case of an  
11 emergency. In fact, the system that we have at 20  
12 Mile right now is the same system that was used at  
13 Willow Creek, and a lot has been said about Willow  
14 Creek receiving those signals to evacuate the mine.  
15 What hasn't been said is that within two minutes after  
16 the signal being sent, the antenna was burned in two,  
17 and the system became inoperable.

18           So there are limitations, and I think we  
19 need to recognize those limitations when we're talking  
20 about regulations and laws that operators must comply  
21 with if they are going to be able to mine coal in this  
22 country.

23           As I said, we have a system at 20 Mile and  
24 one at Air Quality in this country. In both  
25 instances, those antennas are underground. We place

1 PED devices on our front-line supervisors, all out-by  
2 workers and floaters that travel from section to  
3 section, such as fire bosses, pumpers, and mechanics.  
4 It was determined that this setup provided adequate  
5 coverage to all areas in which mines would likely be  
6 working.

7           The antennas are underground, and, quite  
8 honestly, we have experienced shadow areas in both of  
9 those locations, as well as the one in Australia. So  
10 even with surface antennas, there are instances where  
11 we have found shadow areas.

12           The other difficulty that we are finding is  
13 that in some of these areas the antennas cannot be  
14 placed in the same entry, and so where there would  
15 only be one entry available, it makes it nearly  
16 impossible to extend the antenna into further areas of  
17 the mine.

18           These shadow areas that we have experienced  
19 occur mainly in bleeder and in remote areas such as  
20 tailgates of longwalls. Again, signal propagation  
21 seems to vary widely, depending on the coal seam  
22 itself and, in many cases, on the types of roof  
23 supports being used at the mine. Both of our U.S.  
24 locations are using wire mesh for the immediate roof  
25 control, and that has definitely had a deleterious

1 effect on the ability of that signal to propagate  
2 longer distances.

3           We are in the process of looking at why that  
4 occurs. We're not sure, and I think there is a lot of  
5 research that needs to go on with these systems, and  
6 even looking perhaps in West Virginia, where we're  
7 looking to put some more of these devices in, we don't  
8 know if we are able to put a surface antenna in. We  
9 don't know the effect of overmining, and as you are  
10 aware, in West Virginia, we have, in many cases, seven  
11 or eight seams that have been mined out above our  
12 operations. We think that may have some impact on the  
13 ability to propagate a signal from the surface to our  
14 mines.

15           We also have looked at, as Mike had  
16 mentioned when he talked about the new technology  
17 that's out there, the ICCL device. That has great  
18 promise, and that's something that we are very  
19 interested in looking into. It's in the approval  
20 process in Australia right now, and as you know, it is  
21 a lithium-ion battery with the tracker and the PED  
22 device included in one unit. This is, I think, a very  
23 positive step in the right direction because, as you  
24 know, the PED on the lead-acid battery is a very heavy  
25 device, and it looks like this newer device has some

1 real promise for us, and we're looking to the agency  
2 that as soon as the Australians approve this device,  
3 we would like to see it brought to this country and  
4 quickly approved for use here.

5 I think it would help us, too, as we try to  
6 gain the acceptance of the miners of these newer  
7 devices, if we can put something on their belt that is  
8 lighter and provides all of the services that we need  
9 it to. I think we'll have a better opportunity to  
10 make it acceptable to everybody.

11 One thing that has not been talked about  
12 much in these regulations, because of the limitations  
13 that are out there with these communications devices,  
14 we feel that it's necessary for the discussion to  
15 begin on what happens if a miner goes into an area in  
16 which he does not have communications, if he goes into  
17 a shadow area that we've experienced. Again, if the  
18 system goes down, as most mechanical systems will,  
19 what are the procedures that a mine operator must take  
20 while that system is down and being repaired? This  
21 happens from time to time, and there has to be an  
22 acceptable alternative short of evacuating the mine if  
23 that does occur.

24 I want to switch now and start talking about  
25 tracking systems. Again, a lot has been said about

1 the hardware that's involved in that system. There is  
2 not a system in the U.S., and I think there is good  
3 reason for that. Quite honestly, that system was  
4 developed in Australia. The Australian mining system,  
5 and, again, I'm speaking from experience at our  
6 underground mine there, the reason that system was  
7 developed was mainly for tracking mobile equipment and  
8 the numbers of manpower that enter sections. There  
9 are limitations as to how many miners can be in an  
10 active section there, as well as the number of diesel-  
11 powered vehicles.

12           So for those reasons, it had great advantage  
13 for an operator to be able to tell how many units were  
14 on the section. Right now, it's being done with just  
15 a regular tag board, like you would say a check-in and  
16 check-out board at a U.S. mine, and each device, as  
17 they approach this section, would put their tag on a  
18 tab board. What this tracking technology will do is  
19 to do that automatically, and it would tell the  
20 operator of any piece of equipment, stop, you can't go  
21 in this until another piece of equipment comes out.

22           The reason that was developed was for good  
23 reason there, and that has not been the case here in  
24 the U.S., so I think that's one of the reasons it has  
25 not been put in here.

1           Again, I think we find in the regulatory  
2 language there are great problems with what has been  
3 proposed, and I think there is a misunderstanding  
4 amongst those who are writing these regulations as to  
5 what the capabilities of the Tracker system are. Most  
6 of the regulations that are coming out of the states  
7 and that we've seen proposed in the federal realm have  
8 said that it must be able to provide real-time  
9 tracking for all employees while they are underground.  
10 Quite honestly, and I think Mine Site Technologies  
11 would admit, that is not possible.

12           One thing that Mike did not say -- he did  
13 talk about the range of these beacons as being about  
14 50 meters, and that's about right -- what the problem  
15 is it has to be line of sight. Most of the Australian  
16 locations are two entries, and one of those is a belt  
17 going into the development areas, and so everyone  
18 travels in the same entry. That's fine when these  
19 systems work line of sight.

20           In the U.S. system, however, if, for  
21 instance, a miner, in an emergency, decided to go out  
22 the intake escape way or out the return, the beacon  
23 would not pick up the transponder's signal, and that  
24 would make it very difficult to tell where people  
25 were. That puts mine rescue teams at risk when they

1 may not need to be placed in that situation.

2           In closing, I would ask that as we look at  
3 communications, we not forget the mine rescue teams.  
4 They are an absolutely fantastic group of miners who  
5 have really put their lives at stake for their fellow  
6 miners, and we need to work on communications  
7 improvements for them also.

8           The state of communications and tracking  
9 devices, though fairly reliable, is a far cry from  
10 what lawmakers have envisioned them to be. There is  
11 nothing that will meet the current language that has  
12 been proposed. If the agencies want to mandate the  
13 PED, communications, and tracking systems, they should  
14 develop rules that are consistent with these known  
15 limitations. NIOSH should also continue to explore  
16 promising technologies, along with the AC&C, that will  
17 someday allow for two-way communications and tracking  
18 for all miners. The system infrastructure must be  
19 unaffected by the mine environment, and both of these  
20 are worthy goals, but they are not currently  
21 available.

22           Peabody stands as a willing partner with  
23 NIOSH, MSHA, and other interested parties to begin the  
24 search for a reliable system that will someday meet  
25 these ultimate goals. Thank you.

1 MR. STONE: Thank you. Dave, could I get  
2 you to spell your name for the record?

3 MR. BEERBOWER: I'm sorry. Beerbower,  
4 B-E-E-R-B-O-W-E-R.

5 MR. STONE: Thank you.

6 MR. CHIRDON: Dave, can you tell me why you  
7 guys chose not to put your antennas underground at Air  
8 Quality and 20 Mile for the PED system?

9 MR. BEERBOWER: They are underground.

10 MR. CHIRDON: I mean, on the surface.

11 MR. BEERBOWER: The topography in Colorado  
12 is tremendously difficult. It would make that nearly  
13 impossible, with cliffs and very high and steep slopes  
14 in the Colorado region, plus we don't own the surface  
15 area either. In Air Quality, it's a surface ownership  
16 issue, as well as valuable farm land and homes above  
17 our mine.

18 MR. STONE: Thank you very much.

19 Our next speaker is Shawn Stewart. Would  
20 you please come to the speaker's table and begin by  
21 spelling your name and stating your affiliation?  
22 Thank you.

23 MR. STEWART: Good morning, everyone. My  
24 name is Shawn Stewart with X Systems, S-H-A-W-N S-T-  
25 E-W-A-R-T. We are a technology company out of

1 Atlanta, Georgia, and a Cisco partner. I'll bring  
2 this up in just a moment for you.

3           Why are we here this morning? We're here to  
4 save lives. How do we save lives and reduce time in  
5 search and rescue? How can we reduce time in search  
6 and rescue? By eliminating the search. How do we  
7 eliminate the search?

8           We know where everyone is at all times.  
9 Now, I've heard other gentlemen come and speak about  
10 the inability of this to happen, technology-wise. We  
11 come in from a corporate environment, myself, as a  
12 Cisco partner, Cisco Systems. We have a bit of a tie  
13 to the mine environment. My father, who is with me  
14 today, Jim Stewart, is a 25-year veteran of the  
15 Kentucky coal mines, 15 years as a foreman. We take  
16 this technology a little bit personally because we  
17 understand that with a little bit of work, we can  
18 track everyone.

19           What we do, we build wireless networks.  
20 That is what we do. Why do you care about wireless  
21 networks? The main equipment of a wireless network  
22 can be placed in an MSHA-approved container that is,  
23 as we call it, explosion-proof and meshed throughout  
24 the internal sections of a coal mine. This creates a  
25 wireless network inside the mine. Now, I believe I

1 heard the gentleman from Peabody explaining problems  
2 with -- I believe that's called multipath distortion  
3 with the wire meshing units. We do understand the way  
4 these wireless technologies function. What we do is  
5 increase the number of actual wireless points to get  
6 around this multipath distortion.

7           With the wireless network, I know where this  
8 is at all times. What is this? This is a wireless,  
9 RFID tag that chirps, indicating its location at all  
10 times. This can also be placed inside of a small,  
11 MSHA-approved container that can be worn on the  
12 miner's person. This device itself is not MSHA  
13 approved, but I do believe there are some companies  
14 working on right now getting these devices approved,  
15 but at the time, we can put them in containers.

16           Therefore, I know where the miners are at  
17 all times. In the event of an accident, a rock fall,  
18 fire, explosion, or flood, we can reduce search and  
19 rescue to just rescue because we know where the miners  
20 are at all times underground, and that saves lives.

21           Again, coming from a corporate environment,  
22 these are the types of technologies that are currently  
23 in use. This is merely a screen shot of some of the  
24 technology. Like I said, we build wireless networks.  
25 This network gives us a secure Web portal that can be

1 viewed from anywhere in the world. This is a  
2 representation of what is shown. The layout is a  
3 standard, underground mine diagram. Using any Web  
4 browser, we know who or what we're looking at with a  
5 single click of the mouse. Locations of miners in  
6 this example are shown in green. Locations of assets,  
7 such as the longwall miner and roof build machine, are  
8 shown in blue.

9           Now, I know some of you are going to look at  
10 this and go, wait a minute. There is a miner and a  
11 longwall in the same cut. We understand that. That  
12 normally doesn't happen. This is for presentation  
13 purposes only.

14           The network provides secure, two-way  
15 communications underground. The purple square  
16 indicates a secure, two-way communication device, in  
17 this instance, a wireless phone. Now, right now, as  
18 far as I know, there are no MSHA-approved wireless  
19 phones. We are working on a small container that has  
20 a plastic front cover to allow the voice to pass  
21 through and for button use. As of right now, there is  
22 no MSHA-approved container for that, but we are  
23 working on that.

24           Another critical function the network can  
25 provide is two-way video, so in the event of an

1 emergency, we can see what's going on. The network  
2 can potentially provide telemetry information, such as  
3 methane levels, temperature, heart rate, equipment  
4 maintenance, and lock-out and tag-out procedures. If  
5 levels reach certain thresholds, this information can  
6 trigger an electronic notification or alarm. Many  
7 equipment manufacturers, such as Joy, have included a  
8 standard network connection providing real-time status  
9 of the equipment. That connection connects to our  
10 wireless network as well.

11           The network can send electronic notification  
12 if it detects activity that's suspicious or unsafe.  
13 Certain areas of the mine, particularly near moving  
14 equipment or high voltage, can be deadly.  
15 Notifications or alarms can be sent if a nonqualified  
16 miner enters an unsafe area. Most importantly, we  
17 know where all miners are at all times in the mine.  
18 In the event of a catastrophe, we minimally know where  
19 the miners were at the moment of the event.

20           However, we do have certain built-in  
21 redundancies in our network. Our wireless network  
22 works on what is called a "mesh network." This is a  
23 relatively new technology in the 802.11 system through  
24 AB&C Technologies from Cisco Systems that we are  
25 currently using in several, several places, especially

1 in gaseous areas such as radioactive areas. I think  
2 Pracsare is using this in some of their gaseous areas  
3 as well. Cisco stands behind us in everything we do.  
4 We are a partner. We are Cisco wireless specialists.

5           In the event of a catastrophe, even if we  
6 had a major rock fall on a main line coming in, we  
7 have a built-in redundancy of a secondary line that  
8 runs either through the intake or the return. This is  
9 a fiber-optic cable. As you can see, this is actually  
10 the fiber optics. This is MSHA- approved, fiber-optic  
11 cabling. The cost is very inexpensive in relation to  
12 even the high-voltage cabling that runs already  
13 through the mine. Two lines of this, one through the  
14 main line, possibly even one in both the return and  
15 the intake, will guarantee that the network stays up  
16 even in the event of a major catastrophe. Beyond  
17 that, even if all lines were cut, a new wireless  
18 system could be put in place in front of the mine  
19 rescue team to guarantee a reconnection with the  
20 network.

21           In the event of a catastrophe, the foreman  
22 is required to contact MSHA, the union, and bring in a  
23 mine rescue team. With the Mine Rescue Command  
24 Center, they have full access to our network that's in  
25 place, and with the wireless network in place, they

1 have secure, two-way communications while on site  
2 using standard wireless phones outside and inside.  
3 There is no need for a rapid deployment system; it's  
4 already in place.

5           Since the network has its built-in  
6 redundancies, we still have the secure Web portal that  
7 can be viewed from anywhere in the world. We still  
8 have secure, two-way communications with the men  
9 underground. We still have our telemetry information,  
10 and we still know where every miner is at all times.

11           So we strive to eliminate the search from  
12 search and rescue. It may take a little time to  
13 verify that all parts and pieces of this solution are  
14 completely approved, but we can put this system in  
15 place and save lives. Any questions?

16           MR. CHIRDON: Have you done any field  
17 testing of your system?

18           MR. STEWART: We have a marble mine in  
19 Georgia. I understand that marble is different than  
20 coal. They have allowed us to come in and do various,  
21 various testing. What we found in the solid rock,  
22 because they, too, work in the rim-and-pillar system,  
23 that we, too, even in a marble mine, get full  
24 coverage, 100 percent, even in their shadow areas.  
25 The equipment that we use is industrial strength used

1 in typically warehousing industries. The system  
2 itself was actually created to track important assets  
3 in hospitals, like babies. So we keep full test on  
4 this. In the marble mine, we can actually track any  
5 asset, any miner.

6 MR. LUZIK: Do you have test results you can  
7 make available to us regarding that experience?

8 MR. STEWART: We can. That should be  
9 available by the end of the month in report form.

10 MR. STONE: Thank you very much.

11 MR. STEWART: Thank you.

12 MR. STONE: Our next speaker is Martin  
13 Fishwick. Could you please come to the speaker's  
14 table?

15 (Pause.)

16 MR. STONE: Could you begin by spelling your  
17 name and stating your affiliation?

18 MR. WILSON: My name is Brian Wilson. I'm  
19 the CEO of MineCom - Australia. Martin Fishwick is  
20 one of my employees. He was communicating with the  
21 lady over here from Australia for me. So it's Brian,  
22 B-R-I-A-N, Wilson,  
23 W-I-L-S-O-N. As I said, it's MineCom - Australia.

24 Okay. Thank you for the opportunity of  
25 talking with you today on wireless communications and

1 tracking in a mining environment.

2           A brief introduction to MineCom. We're an  
3 9001-2000 company through SGS. We have offices and  
4 factories in Australia and South Africa. We have  
5 distributors located around the world. Here in the  
6 U.S.A., we're represented by Pyatt-Boone Electronics,  
7 who are a world-renowned company in the field of  
8 mining and gas detection and conveyor belt equipment.

9           Okay. We have been manufacturing and  
10 designing communications products for the mining  
11 industry for the last 19 years, based in Australia.  
12 We started off in Tasmania, the island there on the  
13 bottom where the Tasi Devil comes from, and we're  
14 spread out from there to everywhere, to Russia, China,  
15 Sweden, South Africa, and so on.

16           We have leaky feeder backbones, wireless  
17 automation systems, personnel and vehicle tracking  
18 systems, block light systems, heavy-duty radios,  
19 collision-avoidance, and traffic-management systems.

20           Okay. Redundant communications to protect  
21 the mine's assets. An asset is a resource having an  
22 economic value that a corporation controls with the  
23 expectation that it will provide a future benefit.  
24 People are assets, and, therefore, they must be  
25 protected so they can continue to provide a future

1 benefit to the corporation they work for.

2           Redundancy: Duplication or repetition of  
3 elements in electronic equipment to provide  
4 alternative functional channels in the case of  
5 failure, or a system design that duplicates components  
6 to provide alternatives in case a component fails.

7           Okay. People are putting out, say, a  
8 tender. Monk's Mining Corporation requires a fully  
9 redundant communication system for its Monks No. 1  
10 underground coal mine. The communication system must  
11 be fully redundant, i.e., continue to work, operate  
12 under all conditions, including explosion, rock fall,  
13 and cable break.

14           Okay. We first introduced what we call a  
15 redundant system, which was a ring feeder, some five  
16 years ago, which supplied a continuous ring of leaky  
17 feeder in a mine. If the cable was damaged, you could  
18 still communicate on both sides of the leaky feeder.  
19 It's similar to a fiber-optic, self-healing ring. If  
20 you break the fiber-optic cable, the signals find  
21 another way to get around to the other side of the  
22 break and get there one way or another.

23           Okay. In 2005, MineCom introduced  
24 SMARTReverse, which was the first fully redundant,  
25 leaky feeder-based communication system. It was

1 originally designed for mainline railways in long  
2 tunnels where, if a cable was damaged, the train could  
3 still be communicated with on both sides of the cable  
4 break.

5           Okay. The problem being in mines is that  
6 for SMARTReverse to work and be fully redundant, there  
7 must be two egress points, two inputs and exits from  
8 the mine, for it to work efficiently. In hard rock  
9 mines, that's normally a standard. In coal mines, it  
10 doesn't always happen.

11           Okay. A secondary egress can be a return  
12 air shaft, a skip, or a cage shaft, escape way shaft,  
13 vehicle decline, or drill a bore hole, a four-inch  
14 bore hole down. It only has to carry a couple of  
15 cables or even one cable.

16           So in a mine like this, SMARTReverse, when  
17 it worked, this was only one egress point. In this  
18 mine, yes, it would work because there's two inputs to  
19 the mine or two escape ways. If one is blocked, you  
20 can get out the other, and we can get the cable out.  
21 The gentleman from Peabody was saying that the  
22 difficulty was they didn't own the surface, but on the  
23 surface, the return path can be wireless, fiber, or  
24 copper pairs.

25           Okay. Again, here SMARTReverse would work

1 because there are two egress points. In a coal mine  
2 situation, in this mine, no, unless you went down one  
3 tunnel, turned around, and came back the other.

4 Again, one egress point. Drill a bore hole down, a  
5 four-inch bore hole, down from the leaky feeder cable  
6 up. Run the leaky feeder back along the surface, and  
7 you have a fully redundant, leaky feeder system.

8           Okay. Alternatively, you can use RF-to-  
9 fiber devices and come out of RF into fiber, up the  
10 fiber-optic cable, and returning on the surface  
11 through a trench back to the start point at the head  
12 end.

13           Option 2 is you could go up two shafts, run  
14 it up the second shaft back to the surface, and then  
15 either wireless, cable, coax, fiber, copper wires.  
16 Again, you can run the leaky feeder up the shaft and  
17 back on fiber.

18           Okay. SMARTReverse, as I said, the return  
19 path can be leaky feeder cable, fiber-optic cable, a  
20 wireless link, or even good, old-faithful, copper  
21 pairs. In some mines here, and this is relays -- they  
22 are not interested in anything else, but copper pairs  
23 still stay in a lot of mines.

24           Okay. The MineCom SMARTReverse is a  
25 reversible, bidirectional amplifier using custom-

1 built, helical filters to provide selectivity and act  
2 as duplexers to provide sufficient isolation between  
3 the uplink and the downlink paths. Should the cable  
4 be damaged, single-pole, double-throw, RF switches  
5 with high isolation characteristics electrically  
6 reverse the normal uplink and downlink RF paths to the  
7 amplifier.

8           SMARTReverse is a full-tolerant, leaky  
9 feeder system that can operate in a harsh mining  
10 environment and provide reliable communications on  
11 both sides of a damaged cable. The direction of the  
12 bidirectional amplifier is controlled by the presence  
13 or the absence of a control tone put down the leaky  
14 feeder. In other words, if the control tone is  
15 transmitted downlink at a VHF frequency, it's  
16 amplified and boosted all the way along the cable  
17 through each individual amplifier.

18           SMARTReverse amplifiers are also equipped  
19 with what we call "drive-by diagnostics" in the form  
20 of ultraviolet LEDs indicating the condition of the  
21 amplifier to staff as they pass so the staff can drive  
22 past and see comfort green LEDs and know that the  
23 signal level is okay, the voltage level is okay, and  
24 the current drain is okay. We also have an optional,  
25 PC-based, diagnostic system that will then display all

1 of that information and the ID of the amplifier back  
2 on the surface on a laptop PC or a fixed PC. Windows-  
3 based software allows you to read it without great  
4 difficulty.

5           Okay. SMARTReverse is available not in one  
6 band but five bands virtually. We have it in VHF,  
7 UHF, wide band, where you have 10 megs bandwidth up  
8 and down. We have it in narrow band, which was  
9 designed for Europe to work on existing trunking  
10 channels in Europe, and that only has one and a half  
11 megs bandwidth up and down, but it has 10 megs  
12 separation to suit the trunking and the digital tetra  
13 and tetra and tetrapol systems. We also have it  
14 available in 800 and 900 megahertz, and there is  
15 another one which is 2.4 gig.

16           So by virtue of the SMARTReverse amplifier,  
17 the two upper amplifiers within the amplifier box will  
18 reverse. The other amplifier provides video and  
19 control tone signals. It does not reverse. So in a  
20 normal condition, the amplifiers are in one direction.  
21 Okay. As you can see here, in normal condition, in  
22 the case of an explosion, these two amplifiers will  
23 reverse. They reverse in the opposite direction, and  
24 the signal will get back. When the cable is repaired,  
25 they return to normal.

1           The other thing is that you run a leaky  
2 feeder cable, and it's not being used to its full  
3 extent. A leaky feeder can carry more than voice,  
4 data, and video. You can cut the leaky feeder cable  
5 and put a box in there that will give you telemetry  
6 with analog and digital inputs and outputs. If there  
7 was an explosion, and the cable breaks, the data is  
8 still going to get back to the surface. You can cut  
9 the cable and put a camera in it. If there is an  
10 explosion, and the cable is broken, the video images  
11 on the down side, which is the side that you want to  
12 get the information from, can still get back to the  
13 surface.

14           Tracking. You can cut the cable and put a  
15 tracking unit in, and the tracking will work on both  
16 sides of the cable break. You can put the tracking  
17 units every 350, 500 meters, 50 meters, if you want to  
18 pay for it.

19           Okay. You can also have automation, control  
20 of pagers, skips, and, again, break the cable, and the  
21 system will work on both sides.

22           We also have tracking, passive, and active  
23 systems, passive personal tagging, active RFID. We  
24 now put the tags in the actual cap light rather than  
25 the cap battery. In the battery, they are shielded by

1 the vehicle. In the cap light, they are going out  
2 through glass, so they radiate out further, and it  
3 uses one of the wires as an antenna.

4 LAMPS is IS approved to IUC standards. It  
5 was developed with the CSRO in Australia. Again, it's  
6 an IS-approved tracking system.

7 We also have shock-proof and weather-proof,  
8 water-proof radios for vehicles. We also have wall-  
9 mounted, safety radios that you can mount on the wall,  
10 and they are powered by the leaky feeder cable. So  
11 you run the leaky feeder cable into the radio box and  
12 back out. It gets its power from the leaky feeder  
13 cable. In case there is a power failure, there is  
14 backup on the leaky feeder cable.

15 Last, to conclude, MineCom provides a  
16 written guarantee with every system that's installed  
17 to our specifications. We guarantee communications  
18 wherever you run that leaky feeder. Finished. End of  
19 subject. Thank you.

20 MR. STONE: Thank you, Brian.

21 MR. CHIRDON: Mr. Wilson, apparently, you  
22 have plans to get into the U.S. market. What are your  
23 plans for getting MSHA approval of your device?

24 MR. WILSON: That's what we're doing here at  
25 the moment. I was here two weeks ago to speak in

1 Virginia, and we heard of this one, so I came back  
2 over to speak again and have it submitted through  
3 Pyatt-Boone, our agents.

4 MR. CHIRDON: Thank you.

5 MR. LUZIK: I have a question. With regard  
6 to your redundant system, if we had a particular  
7 incident where multiple breaks occurred -- let's say  
8 we had a long entry, and multiple breaks occurred,  
9 maybe one five or 6,000 feet in-by and then out-by a  
10 couple of thousand feet, so we have two distinct  
11 breaks in the cable. Would your system be able to  
12 communicate in that distance?

13 MR. WILSON: Unless we have another  
14 entry/exit point. Again, it comes down to being able  
15 to get into the system. You have one entry/exit to  
16 the mine. Of course, the people can't get out on the  
17 down side. There is no escape way. There's no escape  
18 ladders, where in many hard rock mines and some coal  
19 mines in Australia, they have got access ways to get  
20 out, and, yes, then we can take off points at various  
21 locations. We do that in that case using RF to fiber  
22 where the device picks up the RF signals, converts  
23 them, and modulates them along a fiber-optic cable  
24 back to the surface. The more take-off points you can  
25 put in, the safer the system, but you need more than

1 one exit.

2 MR. LUZIK: Thank you.

3 MR. STONE: Thank you very much.

4 Our next speaker is Mark Rose. Please come  
5 up. I'll remind the audience, if you're going up to  
6 speak, and you have a PowerPoint presentation, please  
7 see our staff when the previous speaker is coming up.  
8 Thank you.

9 MR. ROSE: Good morning. While we're  
10 getting ready here technically, I would like to  
11 introduce myself. My name is Mark Rose. I have a  
12 little company out in the West called Tunnel Radio of  
13 America.

14 I've come here today not so much as a  
15 salesman but as a wireless professional. I've worked  
16 in wireless directly for 30 years and directly in  
17 underground mine wireless for 18 years. We've put in  
18 over a thousand miles of systems in the United States  
19 and a number of other countries. Education with the  
20 Northrop Institute of Technology and East L.A. Trade  
21 Technical College. It looks like we're booting up  
22 here, so it will be a little bit more time before we  
23 get into the electronic portion of the presentation.

24 Like I said, I'm really here more as an  
25 industry professional that is concerned. I'm very

1 happy that the federal government and the State of  
2 West Virginia have kicked over this bucket concerning  
3 mine underground wireless. It's been a passion of  
4 mine since the first mine I ever attempted to do this  
5 in. Like I said, we do have a little bit of  
6 experience in this area. The largest system we put in  
7 was 70 miles of underground workings at Home State  
8 that worked flawlessly. That mine is closed at this  
9 time. We have a few other ones out in the West.

10 I have an FCC license to maintain and build  
11 this stuff, a number of others from the FAA. So let's  
12 take a look at the presentation here, and we'll move  
13 right along, hopefully.

14 Some pictures from our group when we've been  
15 in the field at various times, and the question is,  
16 why do we do this stuff? We do it for them. No more  
17 needs to be said.

18 We primarily put in two-way wireless  
19 systems. We try to get the people connected. It  
20 makes a huge difference in an underground operation to  
21 get people talking and connected. It completely  
22 changes the attitude of the miners in the mine and  
23 completely changes how a mine operates once they get a  
24 good, wireless, two-way system up and running.

25 I list some advanced requirements here that

1 all of my colleagues that are here that are vendors go  
2 for. We like to have multiple channels. We like to  
3 have wireless data. We like enhanced range. Coming  
4 up with a system in a technology that's got a  
5 predictable coverage in a facility when you get in and  
6 what you have advertised are sometimes difficult to  
7 do. So when you do, to maintain your integrity, you  
8 want to be able to develop and install systems that  
9 are reliable, and their performance is repeatable  
10 every time you put them in.

11           A little bit on tracking, we'll get into,  
12 and then some of the emergency operational features.  
13 I'll touch a little bit on protocol and Ethernet-  
14 compatible systems, too, in this presentation. I  
15 apologize for the logo. I'm trying to keep this a  
16 generic presentation, but the pictures are pretty good  
17 there. Actually, that picture of the loader is one of  
18 my best ones, and that's when the flash didn't go off  
19 in my camera.

20           A typical distributed antenna system, as  
21 defined by the FCC, is a network connected to a base  
22 station radio with an antenna portion, which would be  
23 kind of lined out with these black lines here going  
24 down into this hypothetical facility. We've got a lot  
25 of ramps out in the West. We've got to go deep for a

1 lot of our ore bodies, and we use a ramp to do that.  
2 We also have shafts. We've got some of the deepest  
3 ones in the world. At Home State, we were down about  
4 8,000 feet when we were all finished there.

5           It's a very dangerous facility to work in.  
6 You need good communications to keep your people in  
7 good stead, and there are a lot of stories about that  
8 that we've seen over the years. We specialize up in  
9 the upper band and have patents up in that band, which  
10 is 300 and 900 megs for a reason, and we'll talk about  
11 that.

12           We go for coverage. You know, when you put  
13 a two-way system in, you want distributed wireless  
14 coverage. That's the main purpose of the system, to  
15 get the people connected. So we've got a couple of  
16 things you do with that. You've got wireless data  
17 possibilities with coverage like that and tracking.  
18 We test our systems.

19           Showing the two types of technologies here,  
20 VHF versus UHF, a little diagram. Measurements taken  
21 off of these cables are done scientifically. The term  
22 is "coupling loss," and at 20 feet, typically for  
23 these cables, the coupling loss is 65 dB where 30 dB  
24 is 1,000 times loss, so 65 is way down there.

25           Distributed antennas at UHF; we're around 40

1 dB, so we're seeing nearly a 30 dB difference, which  
2 is a thousand times more effective power in these  
3 systems when you're running in these upper bands in  
4 mines.

5           So what you end up with is you've got  
6 greater range, you get obstacle passage, and you get a  
7 lot of reflected energy off the bounces going into  
8 these things called stokes and entries and cross-cuts,  
9 all of these terms that people are trying to grasp  
10 that those of us who work in the industry pick up over  
11 the years that mines know and work with every day.

12           All right. There is a picture of Monica  
13 down there in the right-hand corner. Now she is mine  
14 manager at LKB Monbay. I worked with her putting in  
15 wireless data on their loaders. They have got  
16 wireless loaders running without men tracking and  
17 doing production monitoring.

18           This PowerPoint didn't come out very good  
19 when I tried to transfer it. Sorry about that. Now,  
20 we'll get into some of the ancillary devices you can  
21 install on these wireless, distributed antenna  
22 networks. All right? Wi-PAD is a wireless, repeater  
23 tracking system. The difference of this system versus  
24 a lot of them that are out there considered RFID  
25 systems is that the connection infrastructure is

1 wireless between nodes, and the tag-tracking units  
2 have quite a bit more capability; they are not dumb  
3 units. This picture would be this device here. Your  
4 wireless node reader/repeaters are these. These  
5 systems are actually installed in a number of secure  
6 places in this town, protecting some important people.  
7 This is not made by us. We integrate and have a  
8 cooperative arrangement with the outfit that makes  
9 these. They are made in the United States.

10           Here are some close-up pictures of Wi-PAD.  
11 We call it the wireless personal alert system. It  
12 gives you a pager -- let me see if I brought mine up  
13 here with me -- a little housing like this like a  
14 pager-sized device. It's got some buttons on it,  
15 though. Those are emergency alert. That signals the  
16 information back to capture software, and that  
17 software shows the guy's location at all times and  
18 that he's got a problem. If he goes down for a  
19 certain number of seconds, it will also activate at a  
20 man-down alert level, which is the highest alert  
21 level, and be captured by software on the surface, and  
22 the people can take appropriate action, all the time  
23 tracking the guy to the resolution of the  
24 reader/repeaters in a facility.

25           So we've got man-down alert, position

1 reporting to the capture software, cableless network  
2 between reader/repeaters, with a 24-hour battery pack  
3 there, and post-event survivability is 24 hours.

4 All right. So you get all of these  
5 features. Our next technology level with that is  
6 we're going to put VOIP transmission on that unit so  
7 it will be one-way voice communications out of the  
8 mine with that unit as a backup to other systems.

9 So in this diagram, we've got two layers  
10 here. We've got a UHF layer using a standard,  
11 portable radio in the facility that gives you that  
12 high-frequency, UHF range that you want in a mine, and  
13 it's got a layer on it. That's the Wi-PAD layer that  
14 is wireless between nodes. We're also running 900  
15 spread spectrum. It's an extremely efficient radio,  
16 and the ratio of power to range is tremendous and very  
17 low energy use.

18 Some other technologies; we've got a data  
19 technology that we use that the United States  
20 railroads have asked us to put in some of their  
21 facilities. We did it for them. It gives you the  
22 options of layering in rock mechanics and gas sensing.

23 In MSHA, you guys might know, there has been  
24 a little change in the stench gas requirements in  
25 mines. In a hard rock mine when there is an

1 emergency, they will release a gas that smells like  
2 rotten eggs, and they have changed the way they bottle  
3 that gas now, and the mines have got us building out  
4 wireless relay nodes with the press of a button that  
5 says stench on the screen. Mine management can flip  
6 that on with a shifter, and they will get those to  
7 trip and get everybody out of the mine with the gas.

8           So advanced options; on these portables,  
9 it's amazing. It was mentioned, how are we going to  
10 keep track of somebody that's out of site or out of  
11 radio communications in a mine? The portables have a  
12 feature called lone worker now that reminds the guy  
13 that he needs to check in. It's all done inside the  
14 radio. This is common, state of the art with more  
15 advanced portables. It's available off the shelf.  
16 It's nothing that we do.

17           IP-based systems are out there now. If  
18 you've got a LAN system, an Ethernet system in your  
19 mine, you can interconnect wireless base stations  
20 underground over that, and you automatically get  
21 tracking with that over the IP network that locates it  
22 to the resolution of your IP translation device.

23           I'm going to zip right through here. I  
24 think we get the idea.

25           Closing thoughts in my 20-some-odd years of

1 chasing these mines. Mining is an industry. Last we  
2 checked, we were rated 19 out of 20. Does anybody  
3 want to guess what number 20 was? The tobacco  
4 industry. I would say we could use some improvement  
5 in this area, and I'm really happy that we're bringing  
6 this to the forefront because I think technology will  
7 help us.

8           I've got a Bible verse there that says:  
9 "The Lord, your God, is bringing into a good land, a  
10 land of streams of water with wheat and barley, a land  
11 where bread is not scarce, and you'll lack nothing, a  
12 land where you can mine iron and copper out of the  
13 hills." It's just God's plan for a sound economy:  
14 mining. You've got to love it.

15           A tribute to the guys that got me into this  
16 business. The late Al Isburg wrote a very definitive  
17 work in 1981, what I based some of my technologies on,  
18 for the U.S. Bureau of Mines on wireless in  
19 underground in Black River Mine, and then we sold the  
20 system in the Black River Mine. We have mine-wide,  
21 wall-to-wall coverage in that mine with two-way  
22 portables right now.

23           The other guy is Bob Haning. Bob Haning is  
24 one of the three guys that invented leaky feeder  
25 systems, this whole leaky feeder technology. He is

1 one of my mentors. I'm in communication with him  
2 weekly. Thank you very much.

3 MR. STONE: Thank you. Could you just spell  
4 your name for the record?

5 MR. ROSE: Mark Rose, R-O-S-E.

6 MR. STONE: Thank you very much.

7 Our next speaker is James Hackwood. Would  
8 you please come forward? And, again, could you begin  
9 by spelling your name and stating your affiliation?

10 MR. HACKWOOD: Just to keep going, my name  
11 is James Hackwood, H-A-C-K-W-O-O-D, and I'm with the  
12 company, Northern Light Technologies from Toronto,  
13 Canada. I have also been in this business for about  
14 20 years, starting with medium-frequency, inductively  
15 coupled or parasitically coupled technologies, leaky  
16 feeder, broadband communication techniques using cable  
17 television, and these kinds of things. We've used it  
18 for various aspects, from voice to full automation in  
19 tele operations, so I do have a little bit of  
20 experience there as well.

21 (Pause.)

22 MR. HACKWOOD: Thanks, panel. Thanks for  
23 this opportunity. Sorry for the delay. I guess I've  
24 lost two minutes. I've got about 14 slides, so at a  
25 slide a minute, I'll make up some time.

1 I'm here today to talk about what I call the  
2 next generation of technology in communications. An  
3 earlier speaker spoke towards using Ethernet and  
4 wireless LAN technology as a viable solution. We  
5 believe the same thing, so I'll talk to some of the  
6 things we've done in this area.

7 From the perspective of intrinsic safety and  
8 permissible devices, we have also got a partnership  
9 with a firm in Germany who has an intrinsically safe,  
10 approved, access point for use in coal, and some 300  
11 units have been installed at the DSK operations  
12 primarily for the purpose of automation, but we can  
13 talk about those. With each one of these  
14 technologies, I'll also speak to where we are in the  
15 MSHA approval process.

16 Our primary area of business over the last  
17 20 years has been in the cap lamp manufacturing area.  
18 We like to think that this is the miner's number-one  
19 safety tool, but a respirator is pretty important in  
20 an emergency, too. This particular device is one of  
21 the latest cap lamps. This one has a two-way, Wi-Fi  
22 radio in it with a two-line display. I would be happy  
23 to pass this around just so you get a sense for the  
24 integration that's going on within the cap lamp  
25 itself.

1           Certainly, over the years, we've installed  
2 RFID tags in the lamps. Some 3,000 or more tags have  
3 been installed in lamps in Chile. RFID is not a new  
4 technology, but there is a wonderful power source in  
5 the cap lamp that keeps the tags running all the time.

6           We've also incorporated, the mouse is  
7 showing here, a two-way radio within the cap lamp, and  
8 this has been done from an ergonomic perspective for a  
9 lot of the mines that are using leaky feeder  
10 technology. Our lamps have also been involved, in  
11 addition to radio and tagging, with the PED  
12 technology, which we've heard about earlier. We have  
13 an MSHA-approved PED receiver that is installed in the  
14 cap lamp. The next versions of that to come out will  
15 also incorporate lithium-ion battery technology, which  
16 will give a lighter cap lamp again.

17           We've also been approached recently by the  
18 firm, Vital Alert Communication, who I worked with  
19 some 20 years ago in the area of through-the-earth,  
20 emergency communications, and they also need a lamp  
21 for their receiver, so we're talking towards that  
22 cooperation.

23           The other area of our business is in the  
24 area of communications, and we are coining the  
25 communications phrase "Northern Light Digital." The

1 reason for digital is we want to turn the mine into a  
2 digital mine, and that incorporates all of the  
3 different aspects of data, voice, and video. The four  
4 areas of our focus at the moment, though, are in the  
5 area of voice-over IP, or two-way voice  
6 communications; two-way messaging, with that  
7 particular lamp there; tracking technology using RFID  
8 and Wi-Fi tracking; and ventilation management, and  
9 all of the aspects that go along with air flow  
10 monitoring as well. So those are the four areas of  
11 our focus with communications.

12           So the Northern Light Digital Network is an  
13 open standard, IEEE-802.11ABG. It's commercially  
14 available, per the earlier speaker, and we have used  
15 Cisco in our systems as well, and that works very  
16 well. We've also used a couple of other approaches.  
17 We have units operating in the mines. In particular,  
18 I mentioned over 300 intrinsically safe units  
19 operating at the DSK mine.

20           The advantage of the Ethernet network is  
21 that all of the kinds of applications that you might  
22 want to operate underground can be used across the  
23 network, including telephones, messaging, machine  
24 control and automation, data and supervisory control  
25 and automation. So there's plenty of things, an

1 opportunity for this network to take advantage of your  
2 daily needs related to communications.

3           This is a fiberoptic network that perfectly  
4 amenable to having dual fiberoptic rings, or more than  
5 dual, triple, however many you need. You can create  
6 redundant paths for fiberoptic cabling.

7           So, we spoke to ring topology. We also have  
8 technologies that in the event of a hardware failure,  
9 you can actually have a mechanical switch that sort of  
10 heals the fiberoptic cable if you will. Those things  
11 are available.

12           We also speak to wireless bridging, and that  
13 is where a link can be created between two wireless  
14 access points, and that of course provides a redundant  
15 path as well.

16           Further to that, in the event of an  
17 emergency, portable repeaters, which again are simple  
18 off-the-shelf devices, can be used as the mine rescue  
19 team enters an emergency situation, and they can carry  
20 portable repeaters to heal the network during those  
21 situations.

22           Another term that is important is  
23 interoperability, because we are operating on a  
24 standard. We can talk to and integrate with many  
25 other types of communications systems that might be

1 present. So that your investment in the Legacy  
2 Systems isn't lost.

3           So standard access nod, a very simple panel  
4 box, such as this, and this would be used for a hard  
5 rock application, or a surface wireless coverage,  
6 consisting of a programmable PC to do all the  
7 functions related to an access point, and power supply  
8 backup, and it functions as an access point.

9           Now, there is enough room in the box, of  
10 course, to install optional RFI readers for tracking  
11 purposes, or PLC for controllers for data  
12 applications. This is a picture of the intrinsically  
13 safe access point. It also has a four port fiber  
14 switch in it, and this is used--again, I mentioned  
15 that the DSK mine in Germany, the primary purpose is  
16 to create a wireless link to an overhead trolley  
17 system that they use for men and material transport.

18           We don't see too many of those here in the  
19 States, but it is approved to ATEX, and we will be  
20 submitting this device to MSHA in the coming days, in  
21 fact.

22           So, voice over IP technology, you have  
23 probably heard about it in your day to day life.  
24 There is industrial handsets that are available. This  
25 is not intrinsically safe, this particular unit, but

1 it is industrial. It also provides a press to talk  
2 capability, which miners like, and which behaves much  
3 like a two-way radio.

4           We also have an intrinsically safe PDA.  
5 This is approved again to ATEX. This is also  
6 manufactured in Germany. To get voice from this PDA,  
7 you use something called a soft phone, and the image  
8 here actually is a video image that is being streamed  
9 from that automated trolley system that I spoke about  
10 earlier.

11           So it also has got some capability to be a  
12 full-fledged computer and supervisor. Five minutes.  
13 So that means five slides, right? The digital  
14 messenger, you have seen in the audience there. It is  
15 a WiFi radio. You have web-based software that  
16 operates on your network, that anybody with web  
17 access, including wireless web access, could send a  
18 message to the unit.

19           The key differentiator with this messenger  
20 unit is that it is a two-way device. So we  
21 communicate to it and the message is sent, and the  
22 system logs that it was received by the unit, because  
23 it has a full two-way session.

24           In addition, we ask the operator to use the  
25 little toggle switch on that unit to confirm receipt

1 of the message. It also has the ability to send a  
2 message by holding the toggle switch in a holding  
3 position for a few seconds, and that will send an  
4 emergency message.

5           RFID tracking. Again, this is not new  
6 technology. It is used in many mines around the  
7 world, and this particular one is manufactured in  
8 South Africa. This can be a standard alone unit that  
9 fits in your pocket, or it can be mounted in the cap  
10 plant.

11           And we saw this little device earlier today  
12 by the other speaker. This is a technology  
13 manufactured by AeroScout. It is a WiFi tag. The  
14 advantage here is that if you are putting in access  
15 points and wireless infrastructure, you can use that  
16 existing infrastructure to do all these different  
17 things, including tracking.

18           So again you are not having to add other  
19 readers to the network. And of course the advantage  
20 that we have all spoken about is visibility for  
21 personnel, equipment, and assets, particularly  
22 visibility of where the person was during an emergency  
23 or after the emergency.

24           And, of course, on the environmental side,  
25 we believe that this is an important aspect of a

1 holistic approach, because we can actually provide  
2 early warning and launch preventive measures if we  
3 have enough data and knowledge about what the transit,  
4 and perhaps the gas levels mean, and rising  
5 temperature levels, or perhaps even rising CO levels.

6           So these can be monitored on the system, and  
7 by integrating it with messaging, we can now alert  
8 people that are in a given zone of hazard, and prewarn  
9 them of possible problems.

10           So it provides visibility in emergency, and  
11 of course, you have additional capabilities, in terms  
12 of real time reporting; compliance reports, and  
13 whether that is required or not in terms of monitoring  
14 of data.

15           And wireless access to business  
16 applications, and because it is a standard network,  
17 you can also do your e-mail if you wanted to  
18 underground, or perhaps not the face, or do some of  
19 your other job functions while you are underground.

20           And, of course, daily coordinating of  
21 maintenance personnel, or even production personnel,  
22 and redeploying them as required. And, of course, we  
23 have not talked much about the role of automation with  
24 respect to preventing accidents and that kind of  
25 thing.

1           And there is a real push to perhaps consider  
2 the role of automation, and keeping the men out of  
3 harms way. So it is a modern communication technology  
4 based on an open standard. International  
5 certificates. Certainly we heard earlier today from  
6 MSHA that they would be considered in terms of fast  
7 tracking approvals.

8           So we expect to leverage some of those, and  
9 of course the unified network gives you day to day  
10 functionality, but in the case of an emergency, you  
11 also have the added benefit of visibility. And  
12 redundancy and network healing is certainly a feature  
13 that can be employed in this kind of network. Thank  
14 you.

15           MR. STONE: Are there any other questions?

16           MR. CHIRDON: Yes. James, you mentioned  
17 that you have a cap man version that incorporates a  
18 two-way radio?

19           MR. HACKWOOD: Yes.

20           MR. CHIRDON: Is that used in a gassy mine  
21 somewhere, or --

22           MR. HACKWOOD: Well, when the HT-1000 was  
23 available, it could have. It was a permissible radio.  
24 We have since been asked -- and I think maybe on the  
25 two versions that you are looking at, we have been

1 asked to redo our -- it is basically the radio stays  
2 intact, and it sandwiches in the lamp. And we have to  
3 redo the fittings basically.

4 MR. CHIRDON: Oh, I see. There is no  
5 electrical interconnection between the devices? It is  
6 just a holder for the radio?

7 MR. HACKWOOD: Well, you take the battery  
8 off and the use the cap lamp battery.

9 MR. CHIRDON: Oh, I see.

10 MR. HACKWOOD: So there is that electrical  
11 connection there.

12 MR. CHIRDON: Okay.

13 MR. LUZIK: I had a quick question. You  
14 were talking about the DSK mine in Germany. Is that a  
15 coal mine?

16 MR. HACKWOOD: Yes, absolutely.

17 MR. LUZIK: Do you have any information  
18 regarding the installation details and the experience  
19 with regard to that system that you might be able to  
20 provide?

21 MR. HACKWOOD: I can provide that for you.

22 MR. LUZIK: Yes, that would be helpful to  
23 us.

24 MR. HACKWOOD: Yes, absolutely.

25 MR. LUZIK: Thank you.

1 MR. STONE: Thank you very much. Celina.  
2 Celina would like to make a technical remark for us.

3 STAFF: Are we going to take a break?

4 MR. STONE: Well, in a minute.

5 STAFF: Just a small announcement for  
6 presenters that we have left. We do have laptops that  
7 we provided, and if you have presentations that are on  
8 a laptop, we can put them on a flash drive and put  
9 them on that laptop so you don't have to unload and  
10 load again.

11 If you have a CD, we can also -- if we can  
12 get that ahead of time, we can get that set up for you  
13 as well. If you need a laptop set up, could you  
14 please let myself or people in the back know, and we  
15 can probably get that done during the break, as that  
16 will make it an easier flow during the rest of the  
17 day. Thank you.

18 MR. STONE: Thank you. I would also like to  
19 repeat in case some reporters came in late, that  
20 members of the press should refer any questions that  
21 they might have to MSHA's press officer, Dirk  
22 Philpott, who is standing there. And he will be  
23 available during the break.

24 And in mentioning a break, before the next  
25 scheduled speaker, I would like to take a 10 minute

1 recess. I have about 10:25 now, and so we will  
2 convene at 10:35.

3 (Whereupon, a brief recess was taken.)

4 MR. STONE: All right. We are going back on  
5 the record. All right. Our next speakers, I believe,  
6 are Tony Bumbico and Wendell Christensen. Please  
7 begin by spelling your names and stating your  
8 affiliation. Thank you.

9 MR. BUMBICO: Good morning. My name is Tony  
10 Bumbico, and that is spelled B-U-M-B-I-C-O, and I am  
11 the corporate safety director for ARCH Coal; and with  
12 me is Wendell Christensen.

13 MR. CHRISTENSEN: That is Wendell  
14 Christensen,  
15 C-H-R-I-S-T-E-N-S-E-N. I am with ARCH Technical  
16 Services.

17 MR. BUMBICO: Okay. We are here, similar to  
18 Mr. Bierbower, to present the operator's perspective  
19 on this issue. ARCH is the second largest coal  
20 producer in the United States. Our corporate office  
21 is in St. Louis, Missouri. We have over 3,500  
22 employees, and operate mines in Colorado, Kentucky,  
23 Utah, Virginia, West Virginia, and Wyoming.

24 Wendell supports our underground mines in  
25 Utah and Colorado. We are here today in response to

1 MSHA's request for information on mine communication  
2 and tracking technology.

3           Our specific objective today is to share our  
4 experience with the personal emergency device, or PED  
5 System. We appreciate the opportunity for comments.  
6 We had hoped that our experience will assist MSHA in  
7 future decisions related to the subject.

8           PED systems are installed at two of our  
9 underground mines; at Dugout Canyon, and at Sufco.  
10 Both operations are large, long wall mines, with  
11 excellent safety records.

12           Now, Dugout is located near Wellington,  
13 Utah. It has 223 employees, and is projected to  
14 produce about 4.6 million tons of coal in 2006. Sufco  
15 is located near Salina, Utah. It has 320 employees,  
16 and is projected to produce 7.6 million tons this  
17 year.

18           The PED system at Sufco was installed in  
19 1998, at a cost of \$169,000. Dugout installed their  
20 system in 1999 and 2000. Both systems were purchased  
21 from Mine Site Technologies, or MST.

22           At both mines, the PED was installed as a  
23 secondary communication system, as a backup to the  
24 primary mine pager system. Our relative success with  
25 the PED at these two operations is best described as

1 mixed. At Dugout, the PED was originally deployed on  
2 a limited basis.

3           It has since been expanded to its current  
4 state, in which approximately 50 percent of the  
5 workforce at Dugout carries a PED cap lamp battery,  
6 with a PED screen. The system at Dugout has been  
7 fairly reliable. There are ongoing issues related to  
8 interface with the mine pager phone system that  
9 require ongoing maintenance.

10           Overall communication coverage has been  
11 good, up to distances of five to six thousand feet  
12 from the underground antenna loop. Dugout plans to  
13 install a leaky feeder radio system later this year.

14           They also plan to maintain their PED system  
15 until a better alternative is available. In addition,  
16 Dugout is reviewing alternative mine retracting  
17 technologies. We plan to test MST's tracking system  
18 and other similar systems at Dugout later this year.

19           Sufco has had less success with the PED  
20 system. As a result, they have deployed the PED on a  
21 more limited basis. At Sufco, PED units were  
22 initially issued to supervisors, electricians, fire  
23 bosses, EMTs, and miners working in out bay areas.

24           The PED system itself at Sufco has not been  
25 reliable. The system interferes continuously with the

1 mine pager phone system, and the mine monitoring  
2 system. To date, efforts by the manufacturer and  
3 Sufco to resolve these problems have not been  
4 successful.

5           As a result, Sufco discontinued the use of  
6 their PED system when they installed their leaky  
7 feeder radio system in 2004. Our experience with the  
8 PED has identified some common issues. I will offer  
9 some brief comments on a few of the more significant  
10 problems that we have encountered with the PED.

11           I am sure that there are some reasonable  
12 solutions to some of these issues. Others present  
13 more significant technical challenges. One common PED  
14 issue is infrastructure maintenance.

15           As an underground mine advances, you have to  
16 continually extend the antenna system. Large minds  
17 like Dugout and Sufco have to install thousands of  
18 feet of antenna in order to maintain the loop.

19           Dugout has approximately 45,000 feet and  
20 Sufco has approximately 50,000 feet of underground  
21 antenna cable. Failure to maintain this  
22 infrastructure results in dead spots in coverage. We  
23 have encountered dead spots at both operations.

24           This is more than just a maintenance issue.  
25 It has potential enforcement implications. We know

1 from experience that periodic dead spots will occur.  
2 We are concerned about how MSHA will treat these  
3 incidents from a compliance standpoint.

4           If regulations require the PED to be  
5 installed in all underground mines, will MSHA issue  
6 violations if we encounter periodic dead spots? Would  
7 we have to evacuate the mine.

8           Given the recurring nature of this problem,  
9 these are issues that our operations are concerned  
10 about. We need more reliable alternatives. Another  
11 issue related to the PED, as well as other  
12 communication and tracking systems, is the  
13 vulnerability of the underground infrastructure.

14           As MSHA is aware, this hardware is  
15 susceptible to damage from explosions, fires, and roof  
16 falls. In addition, the explosive atmosphere in a  
17 mine following a disaster may render the system  
18 inoperable for safety considerations.

19           In one respect the PED system is more  
20 vulnerable to damage than other underground  
21 communication systems. In order for the system to  
22 operate the PED antenna must form a complete loop. It  
23 requires twice as much cable as other underground  
24 communications systems. As a result, it is twice as  
25 vulnerable to damage from explosions, fire, or roof

1 falls.

2           Some have proposed surface loop antennas as  
3 the answer to this dilemma. In some cases a surface  
4 antenna may work. They are not the universal answer,  
5 however, because at mines like Dugout or Sufco, the  
6 depth of cover may exceed two thousand feet.

7           Many mines, particularly those in the  
8 Western States, we have to deal with surface rights  
9 issues, and installation complicated by rugged  
10 terrain, to consider installing a surface antenna.

11           Our experience indicates that the PED system  
12 tends to interfere with other communications systems.  
13 This problem has been more significant at Sufco than  
14 Dugout.

15           At Dugout the mine pager phone system  
16 occasionally experiences a feedback noise when the PED  
17 is operated. This problem is normally a grounding  
18 issue that is created when the loop antenna comes into  
19 contact with the wire mesh used to support the roof  
20 and ribs.

21           When this occurs, they have to turn off the  
22 PED system after they send the message. At Sufco, the  
23 feedback problem has been more persistent. It affects  
24 not only their mine pager system, but also the mine  
25 monitoring system.

1           We are not sure what causes the feedback  
2 problem at Sufco. It may be the result of the PED  
3 antenna running near high voltage cables, or cables  
4 that are not shielded. Since we have been unable to  
5 resolve this issue, the PED system is currently  
6 inoperative at Sufco.

7           We have also experienced problems at both  
8 mines using the PED to communicate with employees in  
9 pickup trucks. As you are aware the PED system alerts  
10 the miner to a problem by causing the cap lamp to  
11 flash off and on. It also has a secondary alarm that  
12 alerts the miner to a message.

13           At many underground mines, miners travel to  
14 and from their work place in pickup trucks. If a  
15 miner leaves his or her cap lamp on in the pickup  
16 truck, it creates a glare that obstructs their vision.  
17 To avoid the glare the cap lamps are turned off while  
18 they are in the truck.

19           Consequently, the miner isn't aware when the  
20 light flashes on and off to alert them to a PED  
21 message. Often the secondary alarm of the PED is not  
22 loud enough to be heard over the noise generated by  
23 the pickup truck or other mining equipment.

24           A possible solution to this issue may be a  
25 more effective secondary warning system to alert the

1 minor to a PED message. Seam height is another factor  
2 in the effectiveness of the PED and some other  
3 underground communications systems.

4           The seam height at Dugout averages 8 to 9  
5 feet. At Sufco, it normally exceeds 10 feet. As a  
6 result the PED systems would tend to be more effective  
7 at these operations, as opposed to mines with lower  
8 seam cover.

9           The most significant issue that we have with  
10 the PED is that it is only a one-way system. You can  
11 send a message, but you never know whether it has been  
12 received by the miner. The PED system represents an  
13 improved emergency notification technology, but it is  
14 limited.

15           We feel that underground coal miners need  
16 and deserve better emergency communication options.  
17 We feel that MST is a good company with a good  
18 product. Their PED system was clearly a major factor  
19 in the successful evacuation of the Willow Creek mine  
20 in November of 1998. A PED alert sent by the Willow  
21 Creek supervisor helped to evacuate 45 miners in 45  
22 minutes. We plan to continue to evaluate the PED  
23 system at Dugout and Sufco. In addition, we are also  
24 evaluating MST's PED and tracker systems, as well as  
25 other similar technology, designed by other companies

1 at a number of our other mines.

2           The PED represents an improvement in  
3 emergency communication technology. In the final  
4 analysis, however, it is not good enough. We need to  
5 identify, test, and install better communication and  
6 tracking technology. We need technology that can  
7 provide two-way communication with miners underground,  
8 precise tracking of the miner's location, and  
9 infrastructure capable of surviving a fire or  
10 explosion.

11           We are encouraged by the recent research  
12 initiated by MSHA in this area. In our opinion the  
13 agency has identified several new communication  
14 technologies, with the potential to achieve our  
15 objective.

16           Many of these technologies have been used by  
17 the military and in other industries. In particular,  
18 we are encouraged by the promise of systems such as  
19 the Rajant Breadcrumb System, the Time Domain Radar  
20 System, the Vital Alert Canary 2-way Mine Messenger,  
21 the TG Miner Tracker System, and the Buddy Tracking  
22 System.

23           ARCH support the research effort initiated  
24 by MSHA in this critical important area. We are  
25 willing to offer our mines as possible test sites for

1 these new promising communication technologies.

2           We are willing to work with MSHA, NIOSH, and  
3 other interested parties, to develop and implement  
4 improved emergency communication options for our  
5 employees. However, we want to stress the importance  
6 of testing these technologies in real life mine  
7 environments.

8           Underground mines come in many shapes and  
9 sizes. Geological conditions vary significantly from  
10 region to region. Issues such as seam height, depth  
11 of cover, and surface terrain, all have an impact on  
12 how well the technology will work. What works at one  
13 mine may not work in another.

14           The final solutions proposed by MSHA need to  
15 recognize that one size does not fit all. In order to  
16 improve emergency communications for our miners, we  
17 need a flexible approach that recognizes the unique  
18 characteristics of each mine.

19           It is imperative that we identify the best  
20 available technology, and test it in a real life mine  
21 environment to make sure that it is reliable. We  
22 appreciate the opportunity to appear and offer  
23 comments, and we are willing to try to answer any  
24 questions.

25           MR. STONE: Thank you very much. Steve, do

1 you have any questions?

2 MR. LUZIK: No.

3 MR. STONE: Thank you very much. The next  
4 speaker is Jeffrey Rummel. Please begin my spelling  
5 your names and your affiliation. Thank you.

6 MR. FISHEL: My name is Alan Fishel, and I  
7 am here with Jeffrey Rummel, and we both work at  
8 Arent, Fox; A-R-E-N-T, and then the next word is F-O-  
9 X. And that is a law firm in Washington, D.C.

10 And my name is A-L-A-N, and my last name is  
11 F-I-S-H-E-L; and Jeffrey is J-E-F-F-R-E-Y, and his  
12 last name is Rummel, R-U-M-M-E-L. We have a very  
13 brief presentation. I am going to speak first for  
14 just a couple of minutes, and then Jeffrey is going to  
15 speak and get into a little more detail for just  
16 another couple of minutes. We promise to keep this  
17 very short.

18 Basically, we are Federal Regulatory  
19 Attorneys in D.C. who have represented both a number  
20 of mining companies, and mining manufacturers, on a  
21 variety of issues. I just want you to take a second  
22 to picture this situation, where you are in a  
23 situation as a mining company or a mining  
24 manufacturer, where you have done exactly what you  
25 thought you were supposed to do, and looked in the

1 MSHA rules, figured out what you needed to meet, come  
2 to your own conclusion that you have met MSHA's  
3 requirements, at least in your own mind.

4           You started making some production or  
5 whatever else, and starting to purchase equipment, and  
6 all of a sudden down the road the Federal  
7 Communications Commission comes to you and says you  
8 violated the law. That's great, you know. You  
9 complied with what you thought was MSHA, but you have  
10 violated the law.

11           And now you are going to your boss and  
12 explaining why you did not consider the FCC and  
13 Federal communications involved. And unlike in a  
14 Super Bowl commercial with FedEx, where FedEx didn't  
15 exist, the FCC does exist now.

16           And it is important, and it happens all the  
17 time, where people in one industry, whether it is  
18 mining industries or other industries, where they have  
19 overlapped with the Federal Communications Commission,  
20 and just for good reasons at times, but just forget --  
21 well, when I say good reasons, it is understandable  
22 why it is not a good reason.

23           But understandably just forgetting about the  
24 FCC, and they shouldn't, because it can come back, and  
25 you want to make sure that you have done that. We

1 have represented mining companies at the FCC, and we  
2 have done other Federal regulatory work.

3           An example of that was a major proceeding  
4 going on a couple of years ago where we represented  
5 what was known as the Private Wireless Mining  
6 Coalition. And this was a case in which before we got  
7 involved, the mining companies had lost on a major  
8 issue that was going to cost them a lot of money.

9           And they came to us to try to get that  
10 reversed, and everything worked out fine, and it did  
11 get reversed. But the reason that it started that way  
12 is something to note here, which is simply that people  
13 didn't realize everything that was going on at the  
14 Commission because mining companies focus as they  
15 should on MSHA as they should and as they need to do.

16           But at times the FCC also plays a role.  
17 Here, mining manufacturers have to worry about  
18 equipment authorizations, and mining companies have to  
19 worry about licensing frequencies and emissions, and  
20 it is just important to note that at the Federal  
21 Communications Commission.

22           And by the way, on that proceeding, I should  
23 mention that we did work very well with the National  
24 Mining Association, who was very, very helpful in  
25 coordinating on those other FCC issues.

1           But with mining companies, you need to  
2 remember that at the Federal Communications  
3 Commission, just like with MSHA, you can have  
4 significant fines, and even shutdowns. I mean, one  
5 company just a month ago, and this was not a mining  
6 company, but it was noted that on equipment  
7 authorizations the proposed fine was a million  
8 dollars.

9           Now you don't see that every day at the FCC,  
10 but you saw that just last month on that sort of an  
11 issue. Once again, it was an equipment authorization  
12 issue, outside of the mining context. But it is  
13 important to note.

14           And finally, Jeffrey is going to go into  
15 more details on everything, but he is going to talk a  
16 little bit about some of the rules that you need to  
17 keep in mind. But one thing to mention up front is  
18 that if you don't feel that you can necessarily meet  
19 all of those rules, one potential option is to go to  
20 the FCC sooner rather than later to discuss the  
21 possibility of a waiver.

22           Waivers are often granted. Well, often they  
23 are not granted, but when they are granted, they are  
24 granted because they are in the public's interests.  
25 You will have arguments to make here, and because the

1 rules that you would be getting waived, their purpose  
2 would not be undermined by you getting a waiver in  
3 that instance.

4           So it is important to keep in mind a variety  
5 of options that you will have, and Jeffrey will go  
6 into a little more detail on that when you are going  
7 to the Commission.

8           And one last thing is that we see a lot of  
9 times that people go to the Federal Communications  
10 Commission at the very last second, saying that I have  
11 been designing something for five years, and I would  
12 like for you to waive your rules tomorrow.

13           It is obviously much easier to do that if  
14 you start earlier in the process, and give them a  
15 heads up that this is what you are trying to do,  
16 because the equity thing will favor you, and you are  
17 in a better position. We would be happy to answer  
18 questions after Jeffrey's presentation as to the rest  
19 of it. Thank you very much for giving us the time.

20           MR. RUMMEL: Thank you, Alan. As Dave  
21 mentioned in his initial presentation, one of the key  
22 concerns in this proceeding in finding the right  
23 technology is interference, and the FCC's rules are  
24 specifically designed to prevent interference on RF  
25 signals, to co-channel, and adjacent users.

1           The requirements of both MSHA and the FCC  
2 should be addressed with respect to interference by  
3 both manufacturers and mining companies, and that is a  
4 particular concern because the requirements that are  
5 being discussed both at MSHA and in Congress are  
6 discussing two-way communications, which include  
7 communications from the surface, where you are out in  
8 the environment, to underground environment as well.

9           Basically, communications equipment can be  
10 approved by the FCC on a licensed or unlicensed  
11 operation basis. Regarding or leading to unlicensed  
12 basis authorization, unlicensed authorization is  
13 beneficial, because this means that mining companies  
14 would not need to obtain their own licenses to use the  
15 equipment. This makes the technology much more  
16 appealing to industry.

17           However, there are requirements that still  
18 must be met by manufacturers, and that involves in  
19 many cases getting the equipment authorized under the  
20 FCC's equipment authorization rules, which includes  
21 very specific testing, labeling, and user manual  
22 requirements.

23           The systems are not permitted to just  
24 transmit on any frequency. The FCC rules designate  
25 certain restricted bands which cannot be used under

1 any circumstances.

2           In addition, in certain underground  
3 operations, there is a tunnel radio system rule, for  
4 example, and emissions limits above ground are  
5 limited. Now, a lot of the information regarding  
6 tunnel radio systems, and their problems with  
7 underground operation, are obviously more problematic  
8 when you are talking about when those systems relate  
9 to above ground communications as well, from above  
10 ground to the underground.

11           And those are dealt with on an unlicensed  
12 basis, but there is also in most situations, you have  
13 to look at licensing operations as well. And licensed  
14 operation means that the users of the equipment must  
15 get their own license to operate, and that would be  
16 the mining companies themselves.

17           That does not, however, relieve the  
18 manufacturers of the need to get their own equipment  
19 authorization under the particular FCC rule part,  
20 which allows for licensed operation. So, for example,  
21 you may know at certain mining locations that you use  
22 two-way radios for above ground communications.

23           Those may be Motorola radios, for example.  
24 Motorola has received an equipment authorization for  
25 those radios to operate in accordance with FCC

1 specifications. But mining companies are required to  
2 get the license to operate those hand-held walkie-  
3 talkies.

4           So it is a problem and an issue that both  
5 the manufacturers and the mining companies need to be  
6 aware of. For manufacturers, we suggest that you  
7 figure out right away whether you are proposing a  
8 system that falls within the unlicensed or the  
9 licensed regulatory requirements of the FCC.

10           Many of our clients develop technology that  
11 is great functionally, but does not neatly fit within  
12 either the unlicensed or the licensed regulations.  
13 That's okay, because as Alan mentioned, there are ways  
14 to deal with this.

15           Waivers, for example, as Alan mentioned, the  
16 FCC is willing to grant, even if your proposed  
17 operations deviate from the requirements if you can  
18 meet certain legal standards and technical  
19 requirements.

20           However, you do need time to identify how  
21 far you deviate from the FCC rules, and you must  
22 develop your waiver requests. Often you should meet  
23 with FCC staff in order to coordinate the requests,  
24 and then have the appropriate contacts to push that  
25 waiver request within the appropriate time frame.

1           You can also request temporary authority  
2 from the FCC on a variety of situations, where you  
3 can't meet the time requirements that your business  
4 requirements are imposing upon you. Again, very  
5 specific legal requirements and showings are involved  
6 when you are requesting temporary authority.

7           Finally, if all of these issues regarding  
8 equipment authorization or licensing, or unlicensed  
9 operation, present too many obstacles, and you are too  
10 far from these normal FCC requirements, you can also  
11 seek experimental licenses.

12           We are heavily involved in that area, and it  
13 is a way to get your equipment up and running without  
14 necessarily being subjected to the full panoply of  
15 regulations.

16           Alan and I, because of other commitments,  
17 won't be able to stay the entire day. We will be here  
18 through the lunch break, and we will be standing at  
19 the back of the room, and we will have copies of the  
20 comments that we had filed in this proceeding if you  
21 are interested.

22           And we have a copy of the rule which lists  
23 the FCC's fines as well. So if you have any  
24 questions, we would be happy to discuss them.

25           MR. STONE: Steve, do you have any

1 questions?

2 MR. LUZIK: Not really.

3 MR. STONE: Thank you very much.

4 MR. RUMMEL: Thank you very much.

5 MR. STONE: Our next speaker is Gary  
6 Tydings. Please come forward, and begin by spelling  
7 your name and stating your affiliation.

8 MR. TYDINGS: We will get the computer  
9 working first.

10 MR. STONE: Okay. We will do that, too.

11 MR. TYDINGS: Gary Tydings, G-A-R-Y  
12 T-Y-D-I-N-G-S. And I am representing from beautiful  
13 Raton, New Mexico, Stolar Research, Stolar Horizon  
14 Technologies.

15 I want to preface the remarks very briefly  
16 by saying that the founder of the company, Larry  
17 Stolarczyk, who many of you know, is very passionate  
18 about this issue. And maybe passionate is not even a  
19 strong enough word.

20 He has since the disaster in West Virginia  
21 spent an inordinate amount of time putting together  
22 what amounts to a treatise which consists of things  
23 such as Congressional White Papers, suggestions for  
24 regulatory change, suggestions for legislation, and  
25 has spent a fair amount of time up on The Hill trying

1 to push this issue.

2           One of the reasons that I am here this week  
3 was to assist in the briefing of some Congressional  
4 staff on this particular issue. But what we are going  
5 to talk about today is some technology that is pretty  
6 far past the developmental stage, and in some cases is  
7 operational, as to a multimode two-way radio  
8 communication for emergency and operational conditions  
9 in mines.

10           It is self-explanatory. Why is this company  
11 deeply involved in it, and at the behest of the  
12 founder of the company, in 1984, Larry lost 12  
13 friends, very close friends, in the Welburg Mine,  
14 Quecreek, and then the Sago Mine explosion.

15           And mine wide wireless two-way radio  
16 communications is critical for the solution of these  
17 problems. What are some of the features that should  
18 be involved in this, and I think that most of the  
19 people here have heard this morning, and they are  
20 trying to incorporate or have variations on this  
21 theme, wireless two-way transmission, natural  
22 waveguides.

23           Through the earth waveguide, using an ultra  
24 low frequency, conveyor belt and cable waveguide also  
25 using a low frequency. Coal seam waiver guide and low

1 frequency, and passive wave waveguide, and ultra high  
2 frequency.

3           It has to be intrinsically safe, and it has  
4 to be operational when ventilation is disrupted. What  
5 are some of the features that we are developing? It  
6 will be a three redundant tracking and location, with  
7 subsystems, and real time networks, surface Delta  
8 tracker, and I will speak a little bit more about the  
9 Delta tracking. And then what is known as a Fox  
10 Hunter Antenna.

11           It has to be extremely reliable, and I  
12 believe that testing will verify this. It has an  
13 F1/F1 repeater expandable and self-healing, and it  
14 goes through the earth with a redundancy, and is  
15 modulated for digital transmission.

16           For tracking systems, cap lamp, power  
17 tracking beacon, cap lamp receiver, and it is  
18 multimode, and it is two-way tech synthetic voice  
19 capability, with a bluetooth link.

20           And this is sort of an outline, and I'm  
21 sorry that the details are a little bit small, but  
22 sort of, you see a holistic, more or less holistic  
23 communication and tracking system.

24           For tracking, the beacon goes through the  
25 earth using the earth as the waveguide, and above it

1 is what is known as the Delta Tracker, which can  
2 either be airborne or man-held.

3           This is a tracking beacon, and this is an  
4 older version. This is a Delta Tracker, and it is an  
5 EM gradiometer, and it not only suppresses the radio  
6 frequency interference that you might find on the  
7 surface, but the text spreading EM, and it pinpoints  
8 miners' locations, and it can determine depth.

9           This particular EM gradiometer Delta Tracker  
10 has been developed and is being used. About half of  
11 Stolar's business involves the U.S. Government in one  
12 way, shape, or form, and generally the Defense and  
13 Energy industries. The other half is the energy,  
14 coal, oil, and gas, et cetera.

15           It detects voids, and without me having to  
16 spell it out for you, you can see that where the  
17 applications would be for use by the military, and the  
18 military is using this thing right now.

19           Now, what we spent a lot of time on, and  
20 what Larry is very passionate about, is the regulation  
21 change that he feels, because there was not required  
22 in the current regulation that just says that you have  
23 got to have wired communications, which we all know is  
24 the first thing to go, is to combine the 30 CFR and  
25 the 30 CFR 49.

1           And require the same network and equipment,  
2 and require a 96 hour system operation when the  
3 ventilation system is disrupted. These three  
4 elements, he feels and we feel, and I am begging to  
5 get some impressions from talking to some of the  
6 staffers on The Hill, that they feel that this might  
7 be a direction that should be taken.

8           What else do you want to do? Well, I think  
9 one of the things, and I think Senator Rockefeller  
10 maybe has already taken care of some of this in the  
11 budget reconciliation, but this equipment can be very,  
12 very expensive, and it needs to be incentivized in  
13 some way, shape, or form.

14           Perhaps there could be tax credits for the  
15 purchase, and the installation, and the maintenance,  
16 and the training of sufficient personnel. I think  
17 probably these are some of the areas, in addition to  
18 the technologies, that Stolar is very heavily involved  
19 with, and is developing.

20           And I suspect that if you don't already have  
21 a proposal from Stolar, there is probably one on your  
22 desk today, and I assure you that it is a magnum opus.  
23 So hopefully the company will be in the mix, and in  
24 fact, right now I think that some of the things that  
25 you have already identified, we will be participating

1 in with some of the other companies already.

2           So, in conclusion, I think this is a two-  
3 pronged approach. I think it is critical for the  
4 regulations. We feel that it is very critical for the  
5 regulations to reflect technology at its best and  
6 current form, and provide incentives to see that that  
7 technology is implemented in its best and current  
8 forms. Thank you.

9           MR. STONE: Thank you. Our next speaker is  
10 John Brigler. Please come up. Is John Brigler here?  
11 Okay. So, our next speaker is Marty Sargent. Please  
12 come forward. No? Okay. Marty Sargent? All right.

13           Our next speaker is Donnie Gatten.

14           MR. GATTEN: By default.

15           MR. STONE: Again, please begin by spelling  
16 your name and stating your affiliation.

17           MR. GATTEN: My name is Donnie Gatten, and I  
18 with Technical Training Consulting. It is a mine  
19 safety and training firm. My past history, I am a  
20 fourth generation coal miner, underground coal miner.

21 I have been in the mining industry over 20 years, and  
22 have about 20 years of mine rescue experience as well.

23           I will be pretty brief. I asked for about  
24 five minutes, and I think they allotted me 10, and so  
25 this probably won't take real long. My main concern

1 is from a mine rescue standpoint.

2 I currently train coal, non-metal, and  
3 tunnel rescue teams, and I think that some of the  
4 other industry people expressed the same concerns, but  
5 something that is actually going to work after a  
6 disaster situation. I think the same concerns that  
7 you as a group have as well. The leaky feeder  
8 systems, depending upon a hard wire underground, or a  
9 loop on the surface, poses problems with failure  
10 because of the hard wire underground. And then on the  
11 surface, in a lot of situations, they may work, but in  
12 many others, they also have problems as Mr. Bierbauer  
13 spoke of with the terrain out West.

14 And then we also have mines that go on to  
15 rivers, lakes, and places like that, where it would be  
16 hard to establish a communications link at all. We  
17 have had two or three speakers that have talked about  
18 some new emerging technology, and the last one being  
19 one of those. The thing that I would urge you as a  
20 panel, and as a regulatory industry, as we look at new  
21 laws and regulations, is to take the time to look at  
22 the facts, and not base anything on theory or opinion.

23 As a mine rescue member, I know that there  
24 is a lot of emotion involved after a tragedy, like  
25 Sago, from a political side and from a family side.

1 There is probably nothing that focuses more on safety  
2 than having to put someone in a body bag, and I have  
3 been there and don that.

4           And it is difficult to separate that out  
5 when you are looking for something that is going to  
6 work, and we are going to place in regulations for  
7 mines to have to comply with.

8           To my knowledge, right now with current  
9 technology, as far as two-way voice communication,  
10 wireless voice communication underground, I don't know  
11 of anything, not just available to the mining  
12 industry, but any other entities out there right now  
13 that have that current capability.

14           And I think that is the thing that we were  
15 really looking for. The real question is what are we  
16 going to look at in lieu of that, that is going to  
17 actually improve from our rescue standpoint our  
18 ability to get people, or know where they are, after  
19 an incident occurs.

20           A leaky feeder system right now with a  
21 tracking device gives us information on where they  
22 were when the incident happened, at least maybe within  
23 five thousand feet. But not where they went to or  
24 moved to after that. Now, that could maybe be coupled  
25 with some of the other things that are on the table as

1 far as shelter holes, and things like that, where you  
2 coordinate that through the training and regulation on  
3 maybe where people should go.

4           But from the training side of things, what  
5 we want people to do is to try and exit the mine when  
6 an incident like this happens, and not necessarily  
7 look for a place to go and wait for someone to come  
8 rescue them.

9           So I am afraid that if we are not careful,  
10 if we use something that isn't the technology that we  
11 are looking for, that we may end up giving people a  
12 false sense of security, or having them rely on  
13 something that is not going to make it safer, but may  
14 be detrimental to people exiting the mine.

15           Another problem is that I know a battery  
16 backup is required on these systems, but from a rescue  
17 standpoint after an explosion, with the devastation  
18 underground, and the explosion coming out, it also has  
19 a recoil where it pulls back in -- and someone who has  
20 not seen it can't realize the devastation that you  
21 have underground.

22           I know that some of you guys have probably  
23 seen that, but most of the people in this room  
24 probably have not. What was a permissible enclosure  
25 and which would keep an electrical arc from igniting

1 an explosive mixture outside of that, may or may not  
2 be permissible anymore.

3           And you have people on rescue teams going  
4 into these environments, where inside these  
5 permissible enclosures, you have electrical  
6 connections that could make or break, where after  
7 this, they could potentially set off an explosive gas.

8           So it is a real concern from a rescue  
9 standpoint on having these connections underground  
10 throughout an entire mine system, and how varied that  
11 may be depending on the particular mine.

12           Also, on the communication that the mine  
13 rescue teams themselves use, a lot of the  
14 miscommunication at Sago was a result of the type of  
15 communication the teams used. They typically use a  
16 hardwire line that is a thousand feet long.

17           Our teams that were out there at that time -  
18 - and I am from the rescue community, and so I say our  
19 teams. We are all one big family it seems like. But  
20 the teams went well beyond their thousand feet  
21 capability on this hard line, and they were using  
22 radio communication in conjunction with this, relaying  
23 back to one another to get that information back to  
24 the command center on the surface.

25           Better communication systems for the rescue

1 teams themselves are something that I think we need to  
2 look at, as well as mine-wide wireless two-way  
3 communication. I know that there are some prototypes  
4 out there that integrate radio communication into this  
5 hardware so that they can communicate between one  
6 another, and also have the capability to communicate  
7 directly to the command center on the surface through  
8 this system.

9           To my knowledge -- and you guys can correct  
10 me -- I don't think any of those currently have an  
11 MSHA approval. I think it is pending on all of those.  
12 So we don't have that capability to use in a real  
13 situation right now.

14           If we had had that type system at Sago, a  
15 lot of that confusion would have been completely  
16 eliminated, because the team that was up there, and  
17 where the people were found, could have talked  
18 directly to the command center outside, instead of  
19 having the problem with having to relay back through  
20 several people.

21           Again, all of these systems that we are  
22 talking about are dependent on hand-held radios  
23 currently, and I think you said in your opening  
24 comments that Motorola doesn't have them on the market  
25 right now.

1           As a matter of fact, there are no radios  
2 approved, MSHA approved, for use that are on the  
3 market, where a new rescue team, or even a new coal  
4 operator, or coal mine, could purchase radios to have  
5 to use. And Motorola, I think it took them over two  
6 years to get their initial approval on these radios  
7 that are not used now.

8           Kenwood is one of the people that is seeking  
9 approval, and they are currently over two years trying  
10 to get that approved. So it is not a quick thing. It  
11 is something that takes time, and it should take time  
12 to get the quality assurance that we need to make sure  
13 that these things are going to function properly  
14 without creating a hazard for those using them.

15           But the main point that I want to reiterate  
16 that has been reflected by some of the other speakers  
17 is we need to make sure that we do have quality  
18 assurance on whatever we do.

19           We need to make sure that it is going to  
20 actually serve the purpose that we initially started  
21 out looking for, and that it will provide us with  
22 something that is going to increase safety, and not be  
23 detrimental to rescue teams, or create a hazard for  
24 them, or other people in the mines after the disaster,  
25 because if we are not careful, we could possibly

1 create that situation.

2           That involves as you said not just  
3 experimental mine simulations of these products. I  
4 think that can get you into thinking a product may  
5 work when it may not. Actual field testing in a  
6 variety of situations is what we really need.

7           Because of the different types of strata  
8 that we have throughout this country, the different  
9 depths, a surface line I think can communicate maybe  
10 up to 3,000 feet one way. Two-way communication, to  
11 the best of my knowledge, the best it can do right now  
12 is straight line, vertical depth, of about a thousand  
13 feet.

14           Neither one of those is going to work in a  
15 lot of our situations. We have a lot of mines that  
16 are much deeper than that. So more research to get  
17 what we actually want, I think that is something that  
18 we need.

19           I don't know if that would be through tax  
20 incentives, or through a possible grant program, or  
21 through an agency that we currently have, like NIOSH,  
22 which does a lot of research on this type of thing.

23           Just not having like I said an emotional  
24 knee jerk reaction to try to get something pushed  
25 through I think is key, and us working towards having

1 something that is actually going to be a safety  
2 benefit to the whole mining community. That's what we  
3 need to look at. Thank you.

4 MR. STONE: Thank you very much.

5 MR. TYDINGS: Do you have any questions?

6 MR. STONE: No, thank you very much. Our  
7 next speaker is Kurt Smoker. And again, if you would  
8 please begin by spelling your name, and announcing  
9 your affiliation.

10 MR. SMOKER: Okay. My name is Kurt Smoker,  
11 S-M-O-K-E-R. I am an electrical engineer, who works  
12 for the company, Conspec Controls. My purpose for  
13 coming here today is just to talk about the issue at-  
14 hand, and that this meeting was about primarily,  
15 primarily about mine rescue team communication  
16 systems, and some tracking equipment.

17 I have spent about the last 25 years  
18 designing electrical equipment for various companies,  
19 and that is the only industry that I have worked in,  
20 is in coal, and I have a number of approvals that have  
21 come through the Tridelphia AC&C.

22 I have also done approvals on intrinsically  
23 safety equipment in various countries like England,  
24 South Africa, and Australia. So what I am here to  
25 show you is some equipment, and I will go ahead and

1 get started with the mine rescue team system.

2           The equipment that we have and that I am  
3 talking about is a medium frequency radio system. It  
4 operates below the AM broadcast band, anywhere from  
5 maybe a hundred to 200 kilohertz, up to about 540  
6 kilohertz, or 520 kilohertz.

7           It was a direct outgrowth of the United  
8 States Bureau of Mines funding that took place in the  
9 late '70s, and it uses inductive radio rather than all  
10 of the equipment so far that we have talked about  
11 today has been electrical antenna propagation.

12           These radios use inductive radio components,  
13 which they generate a magnetic field with a loop of  
14 wire, and they are MSHA approved. They obtained MSHA  
15 approval in the early 1990s, or the late 1980s.

16           They are easy to deploy, and battery  
17 powered, and specifically their use in my opinion is  
18 very important for mine rescue teams when they show up  
19 on site and they have to believe that post-incident  
20 that they have nothing to go on as far as an existing  
21 infrastructure.

22           Users right now include 75 percent of the  
23 New South Wales, Australia, mine rescue centers. MSHA  
24 itself had purchased a set of this equipment back in  
25 the 1990s, and used them out of the Beckley, West

1 Virginia, center.

2           And there were several mines in the United  
3 States, and I think maybe two, and I know for sure one  
4 out in Colorado had bought several systems for  
5 recovery work that they did post-fire.

6           Typical deployment, a mine rescue team  
7 typically runs five people in under a breathing  
8 apparatus into a mining zone, and we recommend that  
9 that team carries at least three of the hand-held  
10 radios with them, and definitely one on the Number 5,  
11 communications officer, to talk back to a section  
12 radio that sits at the fresh air base.

13           And this is a rescue team that was using the  
14 equipment during a training exercise in a hard rock  
15 mine outside of Idaho Springs, Colorado, this month.  
16 And you can see the fellow that is over there on the  
17 very far right on the screen. He is actually wearing  
18 the radio equipment.

19           Here is another shot of him. He has an  
20 antenna draped over his BG4 rescue pack, his self-  
21 contained breathing apparatus, and a radio is set up  
22 on top of his hoses right there and attached using  
23 some simple wraps on to straps.

24           And he has got a microphone that is set up  
25 in position in front of his mask so that he can talk

1 effectively using a really simple connection to his  
2 existing face mask, where he has just got a couple of  
3 pieces of blasting wire that are wrapped around some  
4 holes, and put in place. It is real simple, real  
5 easy, and real cheap. Real effective.

6           Here you see a picture of the section radio  
7 set outside the mine on a boulder next to that  
8 Mountain Dew, and behind it is an antenna that is one  
9 of the loop antennas that would be at the base, and it  
10 is positioned so that it is up on those rocks right  
11 next to some wires that are running into the  
12 underground mine.

13           Just a close up of the antenna there. the  
14 present status of this design was that the hand-held  
15 radios were designed in 1993, and were approved by  
16 MSHA at that time.

17           Since then many of the components have  
18 become absolute. You can't even purchase much of the  
19 hardware any longer, and so we are in a situation  
20 where we are down to maybe 5 to 10 existing radios  
21 that we can build.

22           Right now, we have a new design, and which  
23 is a 2005 design, which is right now going through  
24 prototype testing, and I have a model of it right here  
25 that I brought just to show sort of the size of it.

1           It is about 60 percent the size of our  
2 previous radio. It is intended to be small enough and  
3 rugged enough that it will be extremely useful for  
4 mine rescue teams when they do have to go under air  
5 underground.

6           We expect to have that ready for approval  
7 submission in the latter part of May of 2006, and I  
8 guess one of the things that I would just like to talk  
9 about is where MSHA can help. We have already spoken  
10 earlier today about MSHA's desire to prioritize and  
11 fast track the approval process for equipment that is  
12 specific to the present needs, and we think that is a  
13 very important aspect of this.

14           One of the other issues that I would bring  
15 up is that it would help tremendously if MSHA could  
16 find a way to help alleviate some of the financial  
17 burden that the approval process puts upon companies  
18 like the one that I work for.

19           This is a small market, and there aren't a  
20 lot of large companies that are specifically designing  
21 equipment for this marketplace, and for good reason.  
22 It is a very difficult and challenging environment to  
23 be in. But it would help tremendously if there was  
24 some way that smaller companies could somehow get some  
25 financial help to go through the approval process at

1 Tridelphia.

2           Another issue that might not put me in a  
3 good light with some people, and I have already had  
4 this discussion with some mine rescue teams, but I  
5 encourage MSHA to put less emphasis on trophy  
6 competition, and put more emphasis on realistic site  
7 oriented training.

8           One of the key reasons that I bring this  
9 point up is that as you can see, this radio equipment  
10 was first introduced in 1993, and at the time, medium  
11 frequency inductive radios were not even permitted to  
12 be used by mine rescue teams while they were  
13 conducting their competitions out in various locations  
14 around the United States.

15           It took about three years to get radios  
16 approved for use during competitions, but even that,  
17 the mine rescue teams that we attempted to sell these  
18 radios to came back and said that they were not  
19 willing to spent the money on these pieces of  
20 equipment because they simply were not able to use  
21 them during national mine rescue competition.

22           So that has been a very personal heartache  
23 for me, because as you heard from the previous  
24 speaker, the mine rescue teams really desire something  
25 that is effective and useful when they are in a

1 situation where they have to go in a mine.

2           If they are going to perform mine rescue  
3 operations, they have to get in, and they have to get  
4 in fast, and they have to get to the people that are  
5 trapped. If they are not going to be able to do that,  
6 then everything that we are talking about here is just  
7 an exercise. It is not designed for really promoting  
8 safety for the coal miners.

9           A second system that I wanted to talk about  
10 is just some vehicle and personnel tracking systems.  
11 The characteristics of this equipment is very similar  
12 to all that you have seen here earlier today.

13           They are low power, short range, burst tags,  
14 that transmit at UHF frequencies to stationary  
15 tracking receivers. In our case, they are part of an  
16 atmospheric monitoring system that is in place  
17 primarily to act as a fire warning system for the  
18 mine, and that detect very minute levels of carbon  
19 monoxide along the workings of a coal mine, and  
20 indicate with very high accuracy when there is an  
21 impending fire that might be taking place along  
22 beltlines, or along other workings of the mine.

23           The deployment methods that we have used up  
24 to this point are an MSHA approved transmitter that we  
25 put inside of a fiberglass box that we magnetically

1 mount to machines. When we first began to try to sell  
2 this product to the mines out west, we had a lot of  
3 resistance from the workers. There were threats from  
4 several of the mining companies that I went to that  
5 they would find a way to sabotage the system if the  
6 mining companies wanted to track their locations. So  
7 we choose to change the name from personnel-tracking  
8 system to vehicle-tracking, and this is the way that  
9 the transmitters were approved.

10           Five minutes, okay?

11           This is a photograph of that intra-approved  
12 transmitter. Basically, it just beckons out a  
13 transmission once every second to a receiver which is  
14 located again on an atmospheric mining-system cable.  
15 The four-conductor cable provides power and data  
16 communications to a surface computer.

17           One of the important things that we learned  
18 in deploying this equipment out in Colorado and Utah  
19 was that it is important to strategically place your  
20 receivers in the mine. Mines aren't just put together  
21 wily-nilly. They have a specific, defined purpose for  
22 every entry.

23           When you can put two receivers perhaps 300  
24 feet apart, and keep track of which receiver was the  
25 last one that a transmitter passed by, not only do you

1 know where that transmitter was located, you get a  
2 very clear understanding of which way that person, or  
3 that vehicle, was heading in the mine. If they are  
4 heading up into a section, you have a very good idea  
5 that that is where they are.

6           The typical range from the transmitter to  
7 the receiver is about 100 feet give or take a little  
8 bit, which is about one cross-cut in a normal mine in  
9 the United States; and we provide logs of station  
10 activity on a surface computer where you can view not  
11 only the present last location of one of the  
12 transmitters, but then what the activity there has  
13 been for these tags going around the mine.

14           This is a photograph of the receiver. It  
15 just consists of a radio receiver inside a plastic  
16 enclosure. It has got a connection over on the side  
17 to the atmospheric monitoring system. Planned  
18 improvements, that we have ongoing right now, are to  
19 built a portable receiver that a mine-rescue team can  
20 carry with them into the mine.

21           We began work on this several years ago and  
22 then discontinued the work for no reason other than we  
23 had a lot of things on our table, and this was not  
24 panning out to be a commercially successful system  
25 back in 1999 when we first introduced it.

1           But I think it is very important that if you  
2 know that you are within a 100-feet of a receiver, you  
3 can tell that you are very close to a person. If  
4 individual miners were wearing these transmitters and  
5 a rescue team had a receiver that they carried with  
6 them into the mine, they would be able to tell when  
7 they were on a miner that might have fallen down  
8 because of smoke inhalation.

9           Whatever systems are being put into the  
10 mining environment, whether it be for communication,  
11 whether it be mine rescue, whether it be for tracking  
12 of personnel, I think that there some important things  
13 we have to remind ourselves always are: these systems  
14 must be intrinsically safe. They are going to have to  
15 be safe, or you are defeating the purpose of putting  
16 them into the mine in the first place. They have got  
17 to be reliable; they can't depend upon commercial-type  
18 electronic systems. They have to rubberized.

19           And another issue that we seem not to really  
20 take into account is the need for it being economical.  
21 We legislate automobiles that have to be safe at 100-  
22 miles-an-hour crashes here in the United States, but  
23 the commercial market doesn't burden the expense.

24           I think the same thing has to be recognized  
25 with the coal-mining industry. Coal mines don't have

1 an unlimited amount of money to spend on fantastically  
2 wild systems; and it has to be functionally simple.  
3 The coal miners, themselves, are the ones that are  
4 going to have to install and maintain that equipment.  
5 And I think it is very important that the systems  
6 not advance to a level that is far in excess of their  
7 abilities to understand it, maintain it, and keep it  
8 in functional order.

9 Thank you.

10 MR. STONE: Thank you very much.

11 The next speaker is Russell Breeding. Would  
12 you come forward please. Again, if you could begin by  
13 spelling your name and stating your affiliations.

14 MR. BREEDING: Hi, good morning, gentlemen.  
15 My name is Russell Breeding. That is Russell, R-U-S-  
16 S-E-L-L, Breeding, B-R-E-E-D-I-N-G. I am a senior  
17 systems analyst, and I represent myself, as well as my  
18 company. I work for: WR Systems, which is based in  
19 Norfolk and Fairfax.

20 What I propose here, as an interested party,  
21 and to what has been occurring, and utilizing my  
22 background as a submarine sailor in the military, and  
23 an inertial navigation technician and an analyst, is  
24 to use an inertial navigation as a tracking device.

25 Originally, the inertial navigation systems

1 were very large. They were typically about the size  
2 of a Volkswagen back in the old days in the '60s.  
3 But, finally, we have got something now that works in  
4 the form of microelectronics and technology. So some  
5 of the benefits of this are that it provides real-time  
6 tracking location of mine personnel in the event of an  
7 emergency; and it tracks personnel as they move away.  
8 It also provides rescue personnel with the most  
9 accurate and up-to-date locations of the tracked  
10 personnel, and assists land-survey personnel with  
11 quickly finding drilling locations. We are going get  
12 down to this in a little bit. I am kind of just  
13 moving right through this because I want to get to the  
14 heart of this.

15           It would have the capability of voice-over  
16 broadband communication. From what I am hearing this  
17 morning, there are a lot of proposals for  
18 communication systems and things that already exist,  
19 okay. This was one. It's JPS. Well, it's nice, it  
20 is a great navigation system, but, unfortunately, it  
21 doesn't work underground.

22           So, most of the components of this system  
23 that I propose are commercially available: the  
24 charting software, the 3-D modeling and charting,  
25 inertial sensors and microelectronics and battery

1 technology that has improved just drastically over the  
2 last few years. The computers, the wireless ethernet,  
3 working to military specifications, and, of course,  
4 shock-isolation systems.

5           And mainly what we are after is the  
6 integration of these components into an operable  
7 system; and it operates on the principle of inertial  
8 navigation, which has been used since the '60s. It  
9 uses the wireless VHF or UHF. There are some  
10 variations in this of TCIP transceivers.

11           The seam height kind of determines what the  
12 frequencies would be that would be used to maximize  
13 the weight-guide conducting effect. What that means  
14 is that you are trying to force the radio waves inside  
15 of the mine to conform. You provide them maximum  
16 coverage for the transmitters that we are going to get  
17 to shortly. It utilizes back-up power supplies to  
18 preserve operation, and the monitor system is located  
19 away from the mine, and that is what is kind of  
20 critical on this, and it requires minimum personnel  
21 attention.

22           Okay, just some of the principles of  
23 inertial navigation. It doesn't require external  
24 inputs. It requires no radios; it requires no waves;  
25 it requires nothing other than motion, the movement of

1 the sensor from a known location translates into  
2 latitude and longitude, or, in this condition, into a  
3 grid-coordinate system.

4           Latitude and longitude, we could use that  
5 later on in the rescue end of things but, for the  
6 purpose of this, we are going to put them onto a grid  
7 so that we can track them exactly where they are.

8           Well, the computing power in the  
9 miniaturization of this has finally progressed to the  
10 point of making this possible. I alluded to the  
11 Volkswagen. That was about the size that they used to  
12 be. Outside of the model, we use a grid system to do  
13 this with a zoom-in capability. All the tracking  
14 devices would have a unique identification code. In  
15 an emergency situation, your rescue personnel could  
16 each be assigned one of the InSet tracking devices as  
17 well, and they can be monitored, real time, as they  
18 move to try to reach the trapped personnel.

19           This is just a rough screen shot of what  
20 this would look like. The icons are representative,  
21 and there would be a legend concerned with those.  
22 This would be what you can actually track and see.  
23 You would see the physical location on the grid of  
24 where the people and the machinery are at any given  
25 time. These things can be attached to the bolders, to

1 the continuous miners, as well as to the shuttle cars.

2           To zoom-in on this, the operator and monitor  
3 of the system could pick any particular area, zoom-in  
4 on that and see precisely where these people are  
5 located. Precisely is a kind of loose term. Precise  
6 can be, as they say in the world of hand grenades, you  
7 know a couple of hundred feet. This system will track  
8 down to three feet with the technology that I am  
9 coming up to very shortly.

10           The device is wearable; the battery life is  
11 about 36 hours anticipated; transmitting range is  
12 typically one mile enclosed, utilizing the weight-back  
13 ducting effects in an underground Roman pillar high,  
14 or middle- or low-seam type of situation.

15           The way an inertial tracker would work is  
16 that it has to be optically aligned and remain at a  
17 docking station. In the Navy, we called it: dockside.  
18 We start from a known position and, from that point,  
19 we are going to track this particular device and it is  
20 going to provide back the information to update the  
21 grid-coordinate positions.

22           This was one I just put together and I am  
23 not how real sure how applicable this is. The  
24 reception range on this is typically one mile for each  
25 transceiver. It is going to use broadband wireless,

1 TCPIP Internet Protocol, three layer. A broadband  
2 receiver is 500 to 700 feet apart and this provides a  
3 multiple redundancy. The transceiver is relocatable.  
4 The position that they in does not matter. They  
5 don't have to be precisely aligned inside of the mine.

6           If we had put this in something like the  
7 Sago Mine, for example, the telemetry receivers,  
8 broadband receivers throughout the mine, their  
9 coverage would be significant inside.

10           Okay, getting down to what this is all  
11 about. This utilizes the MEMS technology, which is  
12 the microelectronic mechanical, 3-axis inertial  
13 sensors. These are commercially available now. In  
14 the old days, they used to use gyroscopes, very large,  
15 very bulky. These use vibrating tuning forks; and  
16 they also can integrated with the DMARS technology as  
17 well. This technology provides what used to be the  
18 size of that Volkswagen down now to what is contained  
19 on an IC chip in about a quarter-inch square and still  
20 provides the accuracy.

21           Now, there are varying degrees of accuracy  
22 in these sensors. There is strategic grade, as well  
23 as commercial grade, and everything in between. It  
24 requires a dedicated on-board computer processor for -  
25 - and memory; and, of course, processor-controlled

1 battery management, and an air radio frequency  
2 transmitter.

3           This is a technical drawing of the 3-axis  
4 MEMS inertial sensor, the converter running through  
5 either a pentium or can be used, the AMD athlon or the  
6 Durant computer processors. The key to one of these is  
7 also the battery-charging management and discharge.  
8 To get the life out of the battery, the system is not  
9 transmit all the time. It transmits only on motion.  
10 All the transceivers are wireless broadband TCP/IP  
11 protocol. Each of the transceivers has a battery  
12 backup power supply and they operate in full duplex-  
13 mode transmission, as well as reception.

14           Just a drawing here -- overall, they can be  
15 mounted on the mining machine shelf cars, roof  
16 boulders on the equipment. They can be also wearable.  
17 Okay, the telemetry receiver, which is actually the  
18 broadband TCP/IP transceiver, is commercial ethernet,  
19 ruggedized, hardened to operate under severe  
20 conditions such as -- I will get to that in a moment.  
21 Basically, it is going to receive the frequency end  
22 that it transmits on.

23           Now, the frequency that this would work at -  
24 - again, I am glad we heard about the FCC and the  
25 approval on frequencies. That is kind of important.

1 Nine hundred megahertz is one of the frequencies that  
2 bends very well inside of a mine. As a result of  
3 that, trying to get the coverage internally so that  
4 these wireless body packs are literally in a sough of  
5 the reception and transmission of these receivers.

6           The telemetry information that is passed is  
7 velocity north, velocity east, and velocity vertical.  
8 These are the motions that the sensor measures. The  
9 processing is done outboard because the processing is  
10 intense on this and requires a lot of memory and  
11 computing processor.

12           However, the layer three seems to have  
13 enough bandwidth at the 900 megahertz range that this  
14 can be processed outboard. The key to it is to  
15 insure that it is updating on the grid system  
16 accurately. The actual minor requires very little  
17 attention, to paying any attention to what he is doing  
18 with it. It is rugged. It will take the shocks and  
19 it will continue to work.

20           Each wireless body pack is stored in its  
21 charger and its master reset station to an optically  
22 aligned monument. The monuments are set using the  
23 standard geographic survey techniques. Prior to  
24 taking one of these out, the master reset switch is  
25 hit and it resets the inertial sensor to the known

1 docking position charted on the grid, and, from that  
2 point forward, it measures.

3           It also includes a critical power  
4 distribution system, which is a propane-powered  
5 external generator and velocity-detection switching  
6 circuitry. You can switch on and off at various  
7 things on the critical power base and when things all  
8 go off, everything operates off the UPS battery  
9 supplies contained within the transceivers as well as  
10 the body packs.

11           And just a short, brief diagram there of the  
12 three phases, power distribution and the critical  
13 power distribution. They are all the components that  
14 adhere to military specifications: high temperature,  
15 high humidity, salt spray, salt atmosphere, mechanical  
16 thermal shock, caballing with all the smoke, low  
17 chemical resistance armored to the military  
18 specifications as well as the connectors flame-proofed  
19 and water-proofed.

20           Are there any questions? I tried to put  
21 that together quickly.

22           MR. CHIRDON: Has this system been used in  
23 the military?

24           MR. BREEDING: This particular system has  
25 not been used in the military, but a very similar has.

1 MR. CHIRDON: Okay.

2 MR. BREEDING: The systems that I am  
3 familiar with are the ring-laser gyra-navigators and  
4 submarine surface, as well as the older systems, the  
5 Volkswagen-class systems. But the new technology is  
6 in the sensors. The other sensors were just too large  
7 and too big. Now they are down small enough to where  
8 they are wearable.

9 MR. CHIRDON: Okay. Do you have a business  
10 card you can leave with me?

11 MR. BREEDING: I intend to leave a  
12 presentation of technical drawings and cards, and I  
13 have CDs as well of this.

14 MR. LUZIK: I have a couple of questions,  
15 Russell.

16 MR. BREEDING: Yes, sir.

17 MR. LUZIK: The first one is: Have you  
18 tested this system in an underground environment at  
19 this point?

20 MR. BREEDING: No, sir. This is a proposed  
21 system, at this point, based on the existing  
22 technology that is out there now that didn't used to  
23 be even a year ago.

24 MR. LUZIK: And the second part of it would  
25 be --

1 MR. BREEDING: Yes?

2 MR. LUZIK: Has any consideration been given  
3 to the IR requirements that we might be looking at  
4 later on?

5 MR. BREEDING: To the IR --

6 MR. LUZIK: That intrinsically state the  
7 aspects of the system?

8 MR. BREEDING: At this point, not a lot on  
9 this; however, the inertial sensor packs, themselves,  
10 do not emit anything other than their telemetry  
11 information over the radio waves.

12 MR. LUZIK: Very good.

13 MR. BREEDING: So there is nothing that  
14 would be out of the ordinary from what I have heard  
15 this morning in the type of frequency-bands operation.

16 MR. LUZIK: Thank you.

17 MR. BREEDING: You're very welcome.

18 MR. STONE: The next speaker is Bob  
19 Lavergne. Again, if you could begin by spelling your  
20 name and stating your affiliation.

21 MR. LAVERGNE: My name is Bob Lavergne, L-A-  
22 V-E-R-G-N-E. I represent Mine Radio Systems out of  
23 Canada.

24 Mine Radio Systems specialty is  
25 communicating with the underground environment. We

1 have a little bit of history on mine radio. We have  
2 offices all over the world, Canada, Mexico, Europe,  
3 China, South Africa and Australia, and wherever we  
4 don't have an office, we have either a sales agent or  
5 a distributor in those locations.

6           Our core business is communications. With  
7 the team we have at Mine Radio right now, we have the  
8 combined experience of about 150 years providing  
9 communication solutions, specifically for the  
10 underground environment.

11           Some of our customers include: Arch Coal,  
12 Energy West, BHP San Juan, British Telecom,  
13 IncofalconBridge, as well as a number of coal mines in  
14 Poland and now Russia. Some of our products include  
15 the mine radio communication system backbone. We have  
16 two different leakey-feeder-type systems available.  
17 We have the MRS flexcon system as well as the Elequip  
18 multicon system. About three years ago, Mine Radio  
19 did purchase Elequip and we do continue to manufacture  
20 and support all of the Elequip products.

21           One of our newest products being our Insight  
22 Tagging System for personnel, vehicle and asset  
23 tracking. I will go into a little bit of detail about  
24 that system. We have a data rack, which is a  
25 telemetry system used for control and monitoring

1 assets underground: fans, pumps, as well as our newest  
2 backbone, which is: CMTS, Cable Modem Termination  
3 Systems, which we have taken to radio communications  
4 as well as ethernet protocols and married them onto  
5 one backbone.

6           So you can walk underground and you can  
7 still communicate on your two-way radios, or you can  
8 carry an IP phone as well. It has all the same  
9 benefits of the voice-over IP ethernet solutions as  
10 well as the radio communications.

11           Some of the other products we offer is  
12 heavy-duty radios. We are a Motorola dealer and since  
13 Motorola discontinued the HD-1000, we are now  
14 manufacturing our own radio MRS Branded, which has  
15 been submitted for MSHAR approval. We currently are  
16 selling this radio in Russia where it has approved  
17 Russian certification, as well as the European  
18 countries where it has been ATEX certified.

19           One of the other systems that we have sold  
20 and installed is a paging system, or emergency-  
21 message-dispatch system. This is a fully-automated  
22 system that can tie into the gas-monitoring detection  
23 system at the mine, as well as ventilation system;  
24 where, in the case of a loss of ventilation or gases  
25 are detected, the system would automatically dispatch

1 a message over the radio network.

2           This can also be tied into the pager phones  
3 or fixed radios. There are eight levels of messages  
4 that can be dispatched from warning messages right up  
5 to evacuation messages.

6           With the radios of today, with all the  
7 radios having their own unique ID, you can also sent  
8 specific messages to one radio or a group of radios.  
9 So, if you don't want everybody to receive the  
10 message, you can send this message to a group of  
11 radios as well.

12           This system also has not only the voice  
13 message, but it can also alert people via E-mail. So  
14 it might be nice that I am underground with my radio,  
15 or I am near a fixed radio, or a pager phone, and I  
16 have heard the message, but if I am the guy who could  
17 work in the mining office, which could be miles away,  
18 and I don't know that that emergency message has been  
19 dispatched, this system will also send an E-mail. So  
20 whoever is on the E-mail list of this system would get  
21 an E-mail notifying them that a particular message has  
22 been dispatched.

23           We can also tie in PABX systems to our radio  
24 system. So a person with a telephone can call a  
25 specific radio underground, or a person carrying a

1 radio with a DTMF key pad can also call a telephone  
2 line or a specific extension into somebody's office.

3           We have the Elequip flow-sonic airflow  
4 meter, which uses ultra-sonic technology. It is  
5 currently being used in some of the coal mines  
6 underground here in the U.S. It is not an EMSHAR  
7 proved device, so they are using in fresh air and they  
8 are using it to monitor how much air flow, or air  
9 velocity, is in the mine or in that particular area of  
10 the mine.

11           Some of the applications that we think could  
12 be of use to the coal mine, of course, is voice  
13 communications. And we feel that the only effective  
14 way to communicate underground is two-way  
15 communications. So, whether it be our voice  
16 communications or our tagging system, all of our  
17 systems are developed under the two-way technology.

18           We are currently developing what we call a  
19 fixed radiophone, which is very similar to the pager  
20 phones being used now, only the radiophone would tie  
21 right into the leakey-feeder system. It would operate  
22 on the voltage that is already on the line of the  
23 leakey-feeder system and communicate directly on the  
24 leakey-feeder line.

25           We are only in the prototype stages of this

1 right now. It hasn't been submitted for EMSHAR  
2 approval, or it has not been tested anywhere  
3 underground yet.

4           Some of these side features to this device  
5 include: loud speaker notification in the even of  
6 emergencies or evacuations. As well, you can also  
7 hook up flashing lights or beacons to this device.  
8 So, if there is an emergency message that was  
9 dispatched, it can also start a flashing light or a  
10 beacon notifying of an emergency situation.

11           Our tracking system is called Insight  
12 Tracking and Tagging. It is used to locate miners in  
13 the event of an emergency or locate vehicles  
14 underground. Our technology operates on a two-way  
15 technology. As I said, we feel that only effective  
16 way of communicating is two-way technology.  
17 Therefore, our tags, which we call transponders, are  
18 intelligent. They not only talk but they listen and  
19 the beacons we install on the wall do the same thing.  
20 They talk and listen at the same time.

21           So there are two-way communications that  
22 happen between the beacon and the transponder, and  
23 there are also two-way communication that happens  
24 between our beacon and the head end or the PC that  
25 will display the information.

1           We use this not only to provide a little bit  
2 more of effective ways of communicating, but it also  
3 eliminates RF collisions, which happens when there is  
4 a large number of tags in the same reader location.  
5 You can think of this as ten people trying to scream a  
6 different message to one person, and that person  
7 definitely cannot hear the ten different messages and  
8 neither can a become effectively. So what happens in  
9 one-way communication: there is lost events.

10           So, because we have the two-way tracking  
11 system, once we receive an event from a transponder,  
12 we are able to acknowledge to that transponder that we  
13 did successfully receive its information and we can  
14 ask that transponder to stop transmitting while it is  
15 listening to the other tags that are in the vicinity  
16 as well.

17           Not only does this help control RF  
18 collisions, but it also helps maintain the data base  
19 where I can be in the same area working for an hour if  
20 my tag were to transmit once a second for that hour,  
21 there would be a whole lot of information there that  
22 Bob Lavergne is still in that location, where if we  
23 asked the tag not to transmit as often because we have  
24 already successfully received its information, we are  
25 also maintaining a data base that is not going to be

1 pages and pages of information that is really not of  
2 any use at that time.

3           Because our tracking system is two-way, we  
4 can also query tags. So if we have a miner who is  
5 missing underground, we can actually query that  
6 miner's tag and the system will say: I have either  
7 located him. He is here, or I know where his last-  
8 known position was and it will give you the time that  
9 he was in that position.

10           So, because of the two-way tagging system,  
11 we can query tags, or we can query a group of tags.  
12 We can set up the tags in the data base where if I  
13 need the shift boss or the foreman and I need to  
14 locate my crew, one click of the mouse and it will  
15 tell me exactly where my crew is located currently, or  
16 where their last-known location was.

17           Our beacons communicate two different ways.  
18 They can attach directly onto the leakey-feeder  
19 cable, so they are powered by the cable, the RF  
20 information is transmitted on the cable, or they also  
21 have a 485 communication port which can go on a fiber  
22 network or twisted pair.

23           Another one of our new devices is a little  
24 bit of redundancy for the leakey feeder. Seeing as we  
25 know when the cable gets damaged because of fire or

1 explosion or roof cave-in, the cable gets damaged,  
2 there is loss of communications. We have what we call  
3 a means of temporary communicating. We do require, as  
4 another speaker said, that the leakey feeder has to  
5 exit another area of the mine, but we can set up  
6 temporary communications and link that via fiber,  
7 twisted pair, or over-the-air to where the central  
8 command post, or back to the head end of the leakey  
9 feeder, is.

10           So there still is a way to provide back  
11 communications on the system that might be cut from  
12 the main head end of the system.

13           I had a PowerPoint presentation prepared,  
14 but in my travels from Cedry to Washington, D.C., my  
15 laptop went missing, so there might be a few things  
16 that I did forget. That is all. Thank you.

17           MR. STONE: Let me encourage you that when  
18 you do recover your PowerPoint presentation that you  
19 would submit it for the record.

20           MR. LAVERGNE: I will, yes, thank you.

21           MR. CHIRDON: What is the range of your  
22 beacons when you are tracking system?

23           MR. LAVERGNE: Depending on the antenna we  
24 use, we have directional antennae, so we can also  
25 detect which way the miner is traveling, anywhere from

1 50 feet to about 125 feet, depending on the antenna.

2 MR. CHIRDON: What is your time line for  
3 submitting for MSHAR approval on that?

4 MR. LAVERGNE: The tagging system has been  
5 submitted for approval.

6 MR. CHIRDON: Oh, it has.

7 MR. LAVERGNE: Yes.

8 MR. STONE: Thank you very much.

9 MR. LAVERGNE: Thank you.

10 MR. STONE: The next speaker, I believe the  
11 last speaker before lunch, will be: Reuben Padilla.

12 MR. PADILLA: Thank you. My name is Reuben  
13 Padilla. The spelling is: R-E-U-B-E-N P-A-D-I-L-L-A,  
14 from Pacific Consolidated Industries. As he is  
15 loading the PowerPoint presentation -- I appreciate  
16 the opportunity to come and speak to the group and I  
17 thank you very much for the invite.

18 For a small company located out in  
19 Riverside, California, we do a number of different  
20 things and we primarily do things with oxygen and with  
21 air and air-separation technologies. We think that it  
22 is critically important here today, as we talk about  
23 communications and about to the last-known location,  
24 or the last-known point. I think specifically, as the  
25 panel addresses these issues in communications in how

1 we track our miners, or how we track where people are  
2 at, we need to pay attention and be very consistent  
3 with explosions, fires, and roof cave-ins.

4           When that occurs, then the last thing that  
5 is there is what you really have on your body, and  
6 what you can utilize to either save yourself or to  
7 save your fellow miners. That being said, when we saw  
8 the recent events that occurred, we thought there  
9 might be an opportunity to come and show you what we  
10 have done for the military and what might be something  
11 that might be for the miners themselves.

12           As I said, PCI is located in Riverside,  
13 California. We are primarily a cryogenic or gas-  
14 separation device manufacturer. We provide to the  
15 military, to the medical industry, and to the oil and  
16 gas markets. Some of the players in the company have  
17 a lot of military background, a lot of commercial  
18 background, and a lot of aerospace background.

19           Some of the things that we produce for the  
20 Marine Corps and for the Air Force: cryogenic liquid-  
21 oxygen machines. Some of these devices have tracking  
22 devices with them, and the types of technologies that  
23 we have been speaking about today could certainly be  
24 employed with some of those technologies. These are  
25 nitrogen-separation devices that we provide for the

1 Air Force. The reason nitrogen is important is  
2 because it helps inert foam for coal fires and for  
3 putting out coal fires.

4 For our folks in Iraq and Afghanistan, the  
5 oxygen apparatus at the top right-hand picture, the  
6 EDOCS-120, helped save those lives on the battlefield,  
7 providing oxygen to those people who were injured.

8 Water, in every coal-mining accident out  
9 there, there was always some form of dehydration, and  
10 some capability where our miners don't have enough  
11 water, don't have enough oxygen to survive.

12 So that being said, we thought that there is  
13 more than one way for oxygen to be utilized in the  
14 coal mine. These are two systems that are out there  
15 today, the top system the most. The mobile-oxygen-  
16 storage-tank system would be a great system to be  
17 utilized in the coal mine because it is carbon wound  
18 for strength, and it is brass lined for inerting.  
19 That type of system could have a tracker device on it  
20 from any of the different devices being made. When  
21 that system is utilized in the mine, we would know  
22 where the miners are at.

23 Survivable, it can survive a gun shot wound,  
24 if you will, of a 50-calibre round penetrating that  
25 oxygen device with the second oxygen tank still

1 working. The lower device is a DOWS. It is called: a  
2 Deployable Oxygenated Water System. What that system  
3 all it really does is it provides oxygen through an  
4 ozonization capability to create O3 from O2 and it  
5 purifies water. That allows the miners to have a  
6 clean, capable drinking system in the event of an  
7 emergency in the mines.

8           Again, tracking devices could be associated  
9 with these two devices, so that we know where the  
10 miners are at, when they need oxygen, and when they  
11 need water.

12           That clearly concludes my presentation. I  
13 know that it is a little bit outside the scope. But  
14 the reason that I wanted to talk today was simply  
15 because when everything goes to heck in a handbasket,  
16 our miners need a place to go where they can breathe  
17 and where they can live. The tracking devices that we  
18 talked about today all defy physics. When there are  
19 explosions, when there are fires, and when there are  
20 roof cave-ins. So we need something for our miners to  
21 have the last-known point and then to be able to  
22 survive until someone can dig them out.

23           Thank you.

24           MR. STONE: Okay, thank you very much.

25           What I would like to do now is take a lunch

1 break. We will reconvene at ten minutes to one.

2 Thank you.

3 (Whereupon, at 12:12 p.m., the hearing in  
4 the above-entitled matter was recessed, to reconvene  
5 at 1:01 p.m. this same day, Monday, March 13, 2006.)

6 //

7 //

8 //

9 //

10 //

11 //

12 //

13 //

14 //

15 //

16 //

17 //

18 //

19 //

20 //

21 //

22 //

23 //

24 //

25 //



1 United Mine Workers of America, the union that has  
2 been an advocate of miners' health and safety for 116  
3 years. Prior to my becoming the UMWA's Administrator  
4 of Occupational Health and Safety, a position which I  
5 currently hold, I came out of the coal fields having  
6 been an underground miner for 19 years. I worked  
7 about every job there was to work in mining, as well  
8 as serving as the local union's safety committeeman  
9 for Local Union 1501 of Consol Robinson.

10 I was appointed by President Cecil Roberts  
11 as an international field safety representative in  
12 1996. Over the years, I have participated in many of  
13 the recent and most tragic mining disasters of the  
14 last decade, including that which occurred at the Jim  
15 Waters No. 5 mine explosion in September 2001, and the  
16 Sago Mine disaster earlier this year.

17 You asked for comments on several key issues  
18 today, I would like to touch on some of those. Rapid-  
19 deploy systems: After meeting with many of my rescue  
20 team members, we learned that this is a large problem  
21 that needs to be addressed immediately before another  
22 disaster strikes. We learned at Sago, that the  
23 explosion wasn't reported in a timely manner, and then  
24 after it occurred, it took from three to five hours  
25 for the first mine-rescue team to arrive at the Sago

1 Mine property. The mine-rescue teams told us that  
2 they faced problems from gaining access to the mine  
3 property because security wasn't notified to allow  
4 them on the property.

5           Once they arrived on the property, the mine-  
6 rescue team faced problems on getting set up because  
7 areas weren't designated or roped off for their  
8 equipment. The rescue teams told us that in the event  
9 of an emergency instead of just a small group of teams  
10 of being notified to respond, there needs to be a  
11 system in place to notify all mine-rescue teams that  
12 are located regionally, so they can also prepare in  
13 the event that they are needed.

14           This is just the tip of the iceberg. We are  
15 fortunate today to have some of those mine-rescue  
16 teams with us. If you would just stand up and be  
17 recognized at this point, would the mine-rescue team  
18 members stand up. Thank you.

19           (Applause.)

20           You will hear what I have just spoke of as  
21 well as some of their other concerns that need to be  
22 addressed in greater detail later because these mine-  
23 rescue team members are going to come up and address  
24 this panel. What better place to get comments than  
25 from the very experts who walk the walk. You ask:

1 What kind of rapid-deploy systems that could be used  
2 to locate miners who are trapped by a mine emergency?  
3 How would such a system work? Is the system  
4 currently available?

5 Let me back up. That same question was  
6 asked in 1968. The then Bureau of Mines recognized  
7 early on the potential for using radios as an aid in  
8 locating miners trapped by mine fires or explosions.  
9 In 1968, the Farmington Mine disaster resulted in a  
10 National Academy of Engineering recommendation that a  
11 post-disaster location system be developed.

12 In 1970, the Bureau of Mines contracted with  
13 Westinghouse Electric Company to develop through the  
14 earth-communication techniques. Both seismic and  
15 electromagnetic methods were investigated.

16 Originally, the EM concentrated on large more or less  
17 permanently placed units that would permit voice  
18 and/or code conversations between the mine and the  
19 surface. The early tests and third-article studies  
20 carried out by J. R. Waite of the Institute for  
21 Telecommunications Sciences indicated that a location  
22 system that used portable manpack units was feasible.

23 In such a system, the miners would carry a  
24 small transmitter that would be activated if the men  
25 were trapped. A team of rescuers on the surface could

1 detect that transmission and then would locate the  
2 point on the surface that was directly above the  
3 miners. Subsequent development work and tests by  
4 Westinghouse, the Bureau of Mines' personnel  
5 demonstrated that the system worked in both coal and  
6 metal mines.

7           As of January of 1995, no insurmountable  
8 problems had been encountered, in neither the hardware  
9 development or field testing of the units. Attached  
10 with my testimony is a copy of the report that shows  
11 an EM system that has been built, has been tested,  
12 that permits the detection and location of trapped  
13 miners. The hardware required was proven to be  
14 compact, sturdy and, in general, practical for use in  
15 the mines. Successful field test of the system have  
16 been conducted in a wide variety of mines, but now the  
17 system currently sits on a shelf somewhere collecting  
18 dust.

19           We have also heard today of the many new  
20 systems that enables the identification and  
21 communication of miners' locations in an underground  
22 mine. I would suggest that the Agency take a look at  
23 these units as a start. Other units have been  
24 presented at several senate and congressional forums  
25 in the past few weeks in Washington, D.C., as well as

1 what we have heard here today.

2           From these meetings, we have learned that  
3 systems exist and that they are in our mines, in other  
4 countries, as well as parts of the United States. We  
5 have also been told there are devices used by other  
6 government departments that have not even been  
7 explored by the mining industry but could be helpful.

8           Bottom line, we know the technology exists,  
9 and has already been MSHA approved and is being used  
10 in underground mines today. Therefore, without  
11 question, this technology must be implemented and  
12 required by all mine operators immediately for  
13 protecting miner safety.

14           Breathing apparatus: unfortunately, there  
15 has been very little work to approve breathing  
16 apparatus as used by our rescue teams. Miner rescue  
17 team members tell us that the units currently used are  
18 too bulky and too restrictive. NIOSH and MSHA must  
19 also make this a priority, so research is conducted to  
20 allow all non-rescue members the ability to be more  
21 efficient.

22           You are asking, seeking comments on this  
23 subject, how long would it take and it would cost.  
24 What you should be asking the mining community is how  
25 soon can we get this done. The mining community has

1 to develop an attitude that there can be no price tag  
2 on the cost of the non-rescue team member or any other  
3 coal miner's life.

4           Self-contained, self-rescuers: throughout  
5 the industry, there have been a number of problems  
6 with miners not be able to properly don self-rescue  
7 units in emergency situations. Moreover, without a  
8 rule dressing self-rescuers, technological advances of  
9 these breathing devices has been stymied. The  
10 legislative history of the Mine Act, Congress  
11 indicated that mining regulations should be technology  
12 driving to maximize miner's protection. We had hoped  
13 with promulgation of new rules addressing self-  
14 rescuers, the existing problems would be addressed and  
15 technological advances encouraged. United Mine  
16 Workers of America is convinced that such a rule would  
17 have been the camas for a new generation of self-  
18 rescue devices. While operators are willing to invest  
19 in new technology when increases production, it  
20 appears they are not so willing to invest in miner's  
21 health and safety.

22           Reports of the recent coal mine disaster in  
23 Mexico indicate that miners had access to at least six  
24 hours of oxygen and there were additional units  
25 available on the ground to them. If so, their oxygen

1 resources far exceed what is provided to miners in  
2 this country. We need to explore this further.

3           Rescue chambers: those recent tragedies at  
4 the Sago and Alma Number One mine demonstrated there  
5 is a serious void in the regulatory framework for  
6 underground miners confronting a mine emergency.  
7 While there is a lot yet to be determined about these  
8 accidents, the note that Sago miner George Junior  
9 Hamner wrote to his wife and daughter revealed that  
10 most miners survived the initial explosion at the Sago  
11 mine. It, also, demonstrated that those miners had no  
12 information about where to find fresh air or about how  
13 they might have been able to exit the mine. In fact,  
14 miners survived for many hours; but, in the end, they  
15 had inadequate access to enough oxygen to survive the  
16 toxic mine atmosphere.

17           Though Congress specifically suggested in  
18 1969 that the Secretary consider promulgating a rule  
19 requiring rescue chambers for miners to find shelters  
20 in the event of an emergency, we are unaware of any  
21 substantial efforts MSHA has made to pursue this  
22 option since the Act was written. Nevertheless,  
23 earlier this year, just such a chamber was  
24 successfully used and saved the lives of miners at a  
25 Podash mine in western Canada. If they can rely on

1 such a rescue chamber to survive, we need to ask  
2 ourselves why the miners at Sago and Alma were not  
3 afforded the same opportunity. We have been in  
4 contact with manufacturers of such unit. They will be  
5 displaying their safety chamber unit for all members  
6 at are constitution convention in April this year.

7           You are asking, seeking comments should  
8 rescue chambers be required for coal miners. I  
9 suggest you ask family members, like Ms. Hamner, who  
10 lost her loved ones at Sago and Alma this question.  
11 If the agencies in the industry are serious about  
12 giving miners the best chance for survival when all  
13 other means of escape fails, the safety chambers would  
14 be in the mine today. If you are more concerned with  
15 the cost of this unit than the cost of the human life,  
16 the miners again will be denied a safety device that  
17 could save lives.

18           Communications: some of this was already  
19 addressed in my comments on rapid deploy systems.  
20 MSHA and NIOSH only recently focused on these  
21 compelling needs and constitutes a critical first step  
22 in achieving success. Establishing these objectives  
23 has an immediate research goal of both MSHA and NIOSH,  
24 who expedite a successful outcome. We, also, should  
25 be looking at other areas of the government, such as

1 the Navy, NASA, and the Aviation Department of the  
2 Pentagon, and so forth. The technology we are seeking  
3 has already had been developed by one of these groups.  
4 We should also be looking at other countries where  
5 mining takes place.

6           Currently, there is a group of us that  
7 believe we have the answers to give miners the  
8 specialized wire communication device that can be  
9 utilized on a day-to-day basis, as well as an event of  
10 an emergency. Later, a group will be meeting in  
11 Texas, a group from the Governor of Texas, the Office  
12 of Economic Development, the University of Texas, the  
13 Mineworkers, CONSOL, West Virginia Commission on Mine  
14 Safety, the State of Illinois Mines and Mineral, as  
15 well as other people, who believe that the technology  
16 is on the verge of being developed.

17           Earlier, we heard operators speak of  
18 landowners above mine property being issued. I would  
19 venture to say that if a major disaster were to occur,  
20 those property owners would be the first ones to offer  
21 assistance. I have seen this time and time again,  
22 from Alabama, to Pennsylvania, to West Virginia.

23           I am going to skip -- since I only have a  
24 few minutes, I have a poem here about mine rescue  
25 teams, but I am going to allow the mine rescue teams

1 to touch on those. But, I would ask if you go back  
2 and read the report previously submitted to you of the  
3 United Mine Workers of America, of the Jim Walters  
4 Resource Number Five Mine disaster that occurred in  
5 2001, you will find many recommendations in our report  
6 that address the various subjects that we are talking  
7 about today. Had you have taken our report serious  
8 and mandated that the industry comply with these  
9 suggestions as a rule, we may not have to be here  
10 today.

11           While it is hopeful that on MSHA's website,  
12 there's a list of promising technology, this list,  
13 after seeing what is going on today, seems to be  
14 limited as to what is actually available. Also, MSHA  
15 should not be in the business of listing the cost and  
16 the pros and the cons of the different technologies.  
17 What they should do to partner with NIOSH and to test  
18 now available systems, while continuing to push new  
19 technology. These existing systems that meet MSHA's  
20 approval and certification process should be passed on  
21 for the operators to choose which best fits their  
22 needs. If we were to implement only products that had  
23 100 percent success rate, I would submit to you that  
24 nothing would be approved for use in mining today.  
25 This goes from the mining equipment used to extract

1 the coal, which breaks down daily, to pass safety  
2 devices in use today that have faced some failures, as  
3 well as successes.

4 I would guess that many people here are  
5 skeptic of what we are seeing today and believe that  
6 it won't work. I bet that some of our rescue teams  
7 even believe that some of these things won't work.  
8 Being involved in mine rescue for a number of years, I  
9 have had some doubt. But every time I question if a  
10 system would work, I read Mr. Hamner's note. I would  
11 like to share that with you now.

12 It says, "Hi, Deb and Sarah. I am still  
13 okay at 2:40 p.m. I don't know what is going on  
14 between here and outside. We don't hear any attempts  
15 of drilling or rescue. The section is full of smoke  
16 and fumes, so we can't escape. We are all alive at  
17 this time. I just want you and Sarah to know, I love  
18 you and I will always be in love with you. Be strong  
19 and I hope no one else has to show you this note. I  
20 am in no pain, but don't know how long here I will  
21 last. Tell everyone I am thinking of them, especially  
22 Billy, Noreen, Will, Bill, and Peg. I love you all.  
23 Junior Hamner."

24 I have to believe that what we have seen  
25 here today is doable. I pray that MSHA operators

1 stand up and do the right thing. We have to take a  
2 chance to make a difference and save lives by moving  
3 forward. I would hope that all the miner's forces do  
4 not have to go and hurt again. Of all the problems  
5 that we have heard today, when we look at the larger  
6 problem, miners are still dying in mining disasters.  
7 I heard it said that we don't want to give miners a  
8 false sense of security, but right now we have no  
9 security. Thank you.

10 MR. STONE: Thank you, very much. The next  
11 speaker is Battle Brown.

12 MR. BROWN: My name is Battle Brown. It is  
13 spelled just like it sounds, B-A-T-T-L-E, Brown, like  
14 the color, B-R-O-W-N. I have with me Anthony Rowe, A-  
15 N-T-H-O-N-Y, R-O-W-E. I am representing QuickStart  
16 Wireless and Anthony is representing Carnegie Mellon  
17 University.

18 I am here to present on behalf of a team  
19 that represents a number of entities: QuickStart  
20 Wireless, Carnegie Mellon, also FireFly Sensor  
21 Networks. Just to explain what FireFly is, FireFly is  
22 synchronized when they blink and we're able to build a  
23 sensor and wireless networks that are battery  
24 operated, that time themselves to come on and  
25 communicate in cycle on and off, in order to maximize

1 battery life. That's one of the things we bring to  
2 bear. The School of Electrical and Computer  
3 Engineering is involved and Real Time and Media  
4 Systems Lab is involved in this presentation. There's  
5 a number of targeted technologies we would like to  
6 talk about today: wireless networks, sensors,  
7 software applications, robots, communications, and  
8 then how we build integrated systems that use these  
9 technologies.

10           In dealing with wireless mesh networks, one  
11 of the problems is that all of the nodes try to talk  
12 to each other and you end up getting a lot of  
13 collisions and gibberish. Carnegie Mellon has  
14 developed a network system that is self-configuring  
15 and self-healing, so that you get a clean network  
16 diagram, as you can see there. It self-configures.  
17 Nodes go out. It will heal itself and reconfigure the  
18 network. We can also run heterogeneous wire and  
19 wireless mesh networks together, so we can integrated  
20 multiple network types. And we can do location  
21 tracking by nearby triangulation network nodes, and as  
22 you can see here in the diagram.

23           Additional capabilities that this team can  
24 bring to bear would be an adaptive communications  
25 protocol that would have a normal operation of low-

1 power battery-saving, low maintenance, closest node  
2 listening and then if there is an event or emergency,  
3 the network can automatically switch over to a higher  
4 power maximum band width, active node listening. So  
5 that if a node goes into node failure, it can skip  
6 past that node and listen for nodes further away.

7           Also, we have technology, which can allow  
8 segmented or trapped networks to function  
9 independently, so as you -- and we can have multiple  
10 paths into a network. So, we have a very simple tree  
11 diagram of the network on the lower right. If there  
12 is a break in that network, typically what happens is  
13 the far end of the network is totally disabled and  
14 ceases to function. In the case of the technology  
15 that we can bring to bear, we can bring -- the network  
16 would -- the two halves of the network would continue  
17 to function independently of each other and then  
18 because we can bring multiple entry points to the  
19 network, we can actually have multiple entry points to  
20 the network, air shafts, or new bore holes, in the  
21 case of a rescue operation to reestablish  
22 communications.

23           This is, as you can see here, pictures of  
24 existing prototype hardware for sensor nodes. In this  
25 case, we would propose using carbon monoxide, dioxide,

1 methane, and oxygen sensors, as the network nodes and,  
2 of course, getting to the intrinsically safe  
3 certification. There are other kinds of sensors,  
4 which can be brought to bear. I'm sure you heard  
5 earlier, temperature light, silent motion, vibration.  
6 These can monitor equipment and other variables in  
7 the mine environment.

8           There is also the possibility of wearable  
9 sensors. You see a watch there in the middle picture,  
10 which can enable two-way communications of text  
11 messaging across the sensor network. And it is  
12 important to point out that this is a two-way  
13 collision-free mode of communications. We believe  
14 that given the other certified radio frequency  
15 communications, we would not have any trouble getting  
16 the intrinsically safe certification for this  
17 technology.

18           In terms of applications, we are looking at  
19 location tracking, integration of triangulated  
20 position with database management software; server-  
21 side management software could display minor positions  
22 spotted on a map; transmit warning messages to mobile  
23 nodes; display sensor data and monitor the network  
24 status with automatic reporting. One thing I have not  
25 heard today, which I would like to strongly suggest,

1 is the establishment of an industry web portal or  
2 multiple state coders have access to that information.  
3 Owners, operators, inspectors, regulators, first  
4 responders, and search and rescue personnel could all  
5 access different portions, not necessarily all of the  
6 information, but portions of information relevant to  
7 their area of expertise. And operation and sensor  
8 data, production data, maintenance data, regulator  
9 compliance could all be integrated on such a web  
10 portal. That would be the type of thing that we would  
11 be happy to do a needs analysis on and consider  
12 developing.

13 Another thing I would like to point out is  
14 that sensors and sensor node networks could be made to  
15 function like black boxes, like airplanes, so the  
16 nodes can store information about the conditions in  
17 the mine before and after an event. Also, given the  
18 fact that we have so many functioning sensors as  
19 the node, we could provide automatic safety guidance  
20 to miners entrapped in a mine situation to tell them  
21 where fresh air is or safer zones are. We can provide  
22 automatic hazard detection through sensors that  
23 perhaps read vibration or roof collapse, additional  
24 black box functionality and collecting of data and  
25 archiving of that data.

1           Another possibility would allow this network  
2 might be to control robotic search and rescue  
3 vehicles. Currently, you've got existing robots that  
4 are in use in the area of mine mapping. This is an  
5 area that's been significantly developed since the  
6 Quecreek. There are both wet and dry hole, bore hold  
7 robots, which use sonar or laser range finding to do  
8 mine mapping. There are also unmanned rovers  
9 available. Carnegie Mellon currently has under  
10 development a man pack that can use inertial sensors  
11 for mapping. This kind of thing could be used to keep  
12 mine maps updated on daily production basis. And such  
13 robots could be used to reestablish wireless networks  
14 by dropping off new nodes, going in through bore  
15 holes. Those robots could be equipped with a variety  
16 of equipment, sensors, network nodes, supplies,  
17 various loads, including self-rescuers, oxygen  
18 breathers, medical supplies, food, water.

19           The benefits to thinking about all of these  
20 issues, as a system of systems, would be reliable,  
21 resilient communications, real time condition reports,  
22 sensor network initiated instructions to miners in an  
23 entrapment, document of the event with the history,  
24 immediacy of response, and peace of mind. The final  
25 result for the community is information availability,

1 timeliness, greater accuracy, professionalism, rescue  
2 effort coordination. And also on the productivity  
3 side for the mines, using software applications that  
4 manage those kind of activities over the same network,  
5 there could be some benefits there, which might  
6 actually provide or turn on investment to the mines.

7           So, that's the information we have to  
8 present today. Carnegie Mellon and QuickStart  
9 Wireless and FireFly Sensor Networks are prepared to  
10 assist in any way that we can. We are available for  
11 questions.

12           MR. STONE: None today, but thank you, very  
13 much.

14           MR. BROWN: Thank you.

15           MR. STONE: I understand that a speaker for  
16 this morning, who was not available, is now here and  
17 is available to speak. Marty Sergeant. And if you can  
18 begin by spelling your name and stating your  
19 affiliation. Thank you.

20           MR. SERGENT: Thank you. My name is Marty  
21 Sergeant. I am from Total Fire Group, M-A-R-T-Y, S-A-  
22 R-G-E-N-T. I apologize for being late today. You can  
23 never depend on the airlines when you need to get  
24 somewhere, but you can always depend on them to get  
25 you there late usually.

1           About a month ago, I received a phone call  
2 from a safety director affiliated with the Peabody  
3 Coal Company at the Blackbeauty Coal Mine in Vincenze,  
4 Indiana. The guy had been to the local fire  
5 department and had asked them to be able to look at  
6 their thermal imaging camera, to see if it might have  
7 some application in mine safety. He did a little more  
8 research on the Internet and he realized that probably  
9 the product offered by Total Fire Group, the Fire  
10 Warriier Thermal Imaging Camera, which you can see on  
11 the screen now, would be applicable because of its  
12 hands-free capability. There isn't another hands-free  
13 thermal imaging -- helmet mounted thermal imaging  
14 camera available currently in the United States.

15           Total Fire Group is a company that makes  
16 personal protective equipment for fire fighters across  
17 the country. We probably have the biggest market  
18 share of the metro fire departments, D.C. Metro, for  
19 instance, New York City, the city of Cincinnati, where  
20 I am from, and we brought this thermal imaging camera  
21 on because it really fits in with the marketing  
22 program that Total Fire Group has, which is to reduce  
23 the amount of stress on a firefighter and to enable to  
24 firefighter to find his way out of a smokey  
25 environment faster.

1           The contact that we had at Blackbeauty Coal  
2 Company took us down into the mine with this camera.  
3 The camera is an easy -- it's a simple camera to use.  
4 One button operation turns the camera on. You can  
5 use it as a gloved -- with a gloved hand. It takes  
6 about three seconds for the camera to warm up and it's  
7 ready to be used in any kind of zero visibility  
8 situation that a miner might come into contact with.  
9 We went into just a dark area of the mine. They had a  
10 conveyer system going through the mine. We were able  
11 to see the coal on the conveyer system. We were able  
12 to see bearings in the conveyer that were hotter than  
13 other ones. That could be a potential maintenance  
14 issue down the road. But more importantly, you can  
15 take this camera -- you know, where your hand is in  
16 front of your face, you're not able to see anything,  
17 you can take this camera, put it on, and you'll be  
18 able to see the coal rib in the wall. You'll be able  
19 to see rocks laying in your way. You're able to see  
20 people far away.

21           The way the thermal imaging works is thermal  
22 imaging tries to find the hottest thing in a room. In  
23 that environment, obviously, the human body is going  
24 to be probably the hottest thing in the room. It  
25 finds it. It makes it a bright white light. You can

1 actually sometimes make out even facial features. You  
2 can see glasses, because they will appear colder than  
3 the skin will appear. And thermal imaging in the  
4 mining field, I think, has great application for  
5 enabling the miners to find their way out faster and  
6 more efficiently and with a whole lot less misstep  
7 than just maybe following the rope with the cones on  
8 it and that kind of thing to get out.

9           We are currently working on getting MSHA  
10 approved with our product, but we wanted to bring it  
11 before you all. And if you just want to take a look -  
12 - would you like to take a look and see how the camera  
13 works? This is a working unit. If you want to --  
14 there's nothing like wrong with taking a look and  
15 seeing how it works.

16           The camera weighs -- there you go. That  
17 will be something to use for the newsletter. The  
18 camera is the smallest camera available in the United  
19 States right now. It measures 3x3x3 inches and weighs  
20 approximately 18 ounces. The camera runs simply on  
21 two double A batteries and you will receive about  
22 three to three-and-a-half hours of useful life from  
23 those batteries. Now, that's from new batteries.  
24 Powering on, powering off, those kind of things tend  
25 to diminish the amount of battery life that we have.

1 There's nowhere that you have to plug the camera in.  
2 There's no charging. It comes in by water type --  
3 water and dust proof pelican case. And when you have  
4 only about a half an hour of usable battery life left,  
5 there is a bright red light that comes on to indicate  
6 that you only have about 30 minutes of usable light.

7           In the fire service, one person is always  
8 assigned a hand-held thermal imaging camera. You're  
9 going to have your hands free -- in a fire, you're  
10 going to have your hands free in a mine, when you're  
11 trying to do any kind of self-extrication or comrade  
12 extrication and that kind of thing. So with the Fire  
13 Warrior, a person can assist in live saving measures.  
14 He can send in any kind of suppression. They can do  
15 any kind of rescue because they're going to have both  
16 hands there free -- both of their hands free.

17           The reason that the power consumption on the  
18 camera is so small and doesn't require the big  
19 batteries is simply because of the display that we  
20 use. The display is about as big as your fingernail  
21 on your pinky finger and it's an organic LED. An LED  
22 display, like what's on a simple cell phone, works  
23 great at this distance; but when you get it up close,  
24 it becomes distorted and you can't use it anymore.  
25 The organic LED display is meant for up close use, so

1 that when you have zero visibility because of smoke or  
2 because of dust or because of anything in the air,  
3 you're going to have that eye piece right up against  
4 your eye, right up against the face piece here.  
5 Remember, this is going to be used when the miners are  
6 using their breathing apparatus to get out, if  
7 anything has ever happened. And that's the same face  
8 piece that is used in the fire service today. It's  
9 just a different version of that. So, it gets up  
10 close, seals to the face piece, and you're able to see  
11 clearly through that viewfinder.

12           To compare thermal imaging cameras of other  
13 thermal imaging cameras or to be investigated through  
14 this process, ours is hands-free and weighs 18 ounces.  
15 The other ones weigh over four pounds and are hand-  
16 held units. Ours is using the most current and up-to-  
17 date technology. Ours allows the user to multitask.  
18 And we do not sell anything directly. We work through  
19 distributorship and that's just simply part of the way  
20 that we've always gone for business.

21           It's a very simple process -- or a very  
22 simple concept. And if you all have any questions, I  
23 will be happy to answer them for you.

24           MR. CHIRDON: Do you have any existing  
25 certifications on the product?

1 MR. SERGENT: The certifications that we  
2 have are through the National Fire Protection Agency,  
3 the NFPA. We are working on finalizing an ANSI  
4 standards that relates to thermal imaging. And as I  
5 said, we have a company that we keep on retainer that  
6 helps us work through certifications such as an  
7 intrinsically safe, which none of the cameras are  
8 intrinsically safe. But, we are working through UL  
9 for some almost intrinsically safe certifications. I  
10 forget the numbers on them. And we're working for the  
11 MSHA certification right now, as well.

12 MR. STONE: Thank you, very much.

13 MR. SERGENT: Thank you for your time.  
14 Again, I apologize for being late.

15 MR. STONE: We waited for you. The next  
16 speaker is William Collins. William Collins?

17 (No response.)

18 MR. STONE: Okay. Then, Andy Stein. Is  
19 Andy Stein here?

20 (No response.)

21 MR. STONE: Okay. Jim Ponceroff? Is he  
22 here?

23 MR. PONCEROFF: How are you doing? My name  
24 is Jim Ponceroff, P-O-N-C-E-R-O-F-F. I work in the  
25 coal mine. I'm a union member, UMWA. I'm the captain

1 of the Blackstone Two mine rescue team, which is a  
2 console energy mine. Been doing it for 16 years. Of  
3 that 16 years, I've been captain for 11.

4           The best think I saw today was the happy  
5 young man just showed you, the thermal imaging really  
6 works. I use MJAWS at Lake Glen. I used it at 84  
7 mine and you can actually see where you're going with  
8 it. It's a great piece of equipment, pretty costly,  
9 but it does work.

10           A couple of things I would like to talk  
11 about. First of all is communications and I hear guys  
12 all day here tell me how nice these systems are; but,  
13 apparently, they've never been underground after an  
14 explosion. Metal beams are twisted and bent double.  
15 Lunch buckets are smashed flat. Rock dust, pods, the  
16 vacuum coming through sucks the top right down against  
17 the bottom. That's three-quarter inch steel, folks.  
18 No piece of plastic ain't going to make it. These  
19 cables that will heal themselves, it ain't going to  
20 happen, not in the coal mine. It might work good out  
21 here, but it isn't going to work there. But like  
22 Dennis said, Mr. O'Dell for UMWA, there is technology  
23 available and it should be there and must be there.  
24 We need it. We go to these fires, we can't even talk  
25 to ourselves.

1           It's a little emotional, especially when  
2 you've got people involved. We need a system that we  
3 can talk to each other, so we can get back to the  
4 fresh air and out to the command system and understand  
5 what it is without the mistakes happening like it  
6 happened in Sago. If you had a system where all your  
7 members were hooked together and could talk to each  
8 other at the same time -- you've got to remember,  
9 we're not all walking up the center, you know. We've  
10 all seen maps of the coal mine on T.V. The news media  
11 made sure that we saw that. You may have two guys in  
12 one entry, two guys in two entry, two guys in three  
13 entry, a hard line, which is our silent partner  
14 communication system that we drag up the middle, we  
15 have two guys over here, two guys over here, depending  
16 on how many entries depends on how many guys you've  
17 got. Nobody travels alone in my rescue, because if  
18 you go down, you're in trouble.

19           I don't want to take up a whole lot of your  
20 time, but communications is very, very -- you can't  
21 emphasize that enough, how important that is to know  
22 what's going on around you. I've been in coal mines  
23 that are either on fire or exploded in three different  
24 states in the last five years. That's way too busy.  
25 I've been interested in mine rescue my whole life. My

1 whole family is coal miners or were coal miners. Most  
2 of them are out of the industry now, disabled,  
3 retired, or past away. I remember being a kid and my  
4 Dad was on Archrite Number 1 Steam. My uncle was on  
5 Osage Number 3 Steam. And we were at Grandma's and  
6 everybody was boo-hooing and whan, whan, because they  
7 were up there in that coal mine that was on fire. And  
8 I thought that was the coolest thing in the world. I  
9 really did.

10           And they say coal miners are simple. Well,  
11 yes. Nobody wants to go to a coal mine that's on fire  
12 or nobody that's got any sense about it. I absolutely  
13 love doing it. If I'm in there, I want to know  
14 there's somebody coming to get me. So, they don't  
15 understand what we do and why we do it. Well,  
16 sometimes, we don't understand it.

17           But, there's technology available to make  
18 our job easier and to get people out of there when it  
19 happens. Hopefully, it will never happen again, knock  
20 on wood. You train and you train and you train and  
21 every night you go to bed praying that it doesn't  
22 happen. But, it does. So, you go. And your family  
23 don't know. And it's real important, this  
24 information, or mis-information, I should say. We can  
25 talk to the moon, but we can't talk 200 feet in a coal

1 mine. Something is wrong with that, folks; something  
2 bad wrong with that.

3           Them guys that lost their lives knew the  
4 risk when they went in there and I know mine when I go  
5 in when it's on fire. The media portrayed us as  
6 something we're not. We just don't strap on our suits  
7 and go in. There's protocol that we've got to follow  
8 and we do that for a reason. I can't save nobody, if  
9 I get myself blowed up or my team. We talk about the  
10 mine rescue family, it is a family. I've spent more  
11 times with these guys in the last few years than I  
12 have with my own kids. I have. Training, contest. A  
13 fellow spoke about contests earlier today, one of the  
14 best training tools we have. When we go on a contest,  
15 still, as captain, I'm responsible for every decision  
16 that's made. We make them as a team, but it's my  
17 responsibility to make sure we make the right  
18 ventilation changes, that we systematically explore  
19 the mine. When we go to a fire, we have people  
20 telling us where to go, what to do, what air quality  
21 they want to know. You know, sometimes, they'll run  
22 us back and forth two or three times.

23           Believe it or not, folks, we're trained  
24 professionals. We do this for a living. And we take  
25 a lot of pride in what we do. And when we're second

1 guessed, it bothers us. But, safety for my guys is my  
2 number one concern, because I know their wives. I  
3 know their children. I don't want to come home and  
4 say, hey, your husband or your brother or your father  
5 was killed because I did something stupid. And it's  
6 not something you turn on and off. It's easy to turn  
7 on, but it takes days to turn off, if you can.

8 I'm a real outspoken person and I'm biting  
9 my tongue. There are a lot of things I would like to  
10 say to you people. I won't. And mark that on your  
11 calendar, because it will probably never happen again.

12 Nobody understands the forces that occur  
13 during an explosion. It's unbelievable. Like I said,  
14 I've been to two or three mines that's blowed up,  
15 several have been on fire, a couple of them two or  
16 three times. It's amazing. You can see a picture of  
17 something that's been through an explosion, you think,  
18 oh, that's tore up. You walk around the corner and  
19 see it, pictures don't do them justice. It's  
20 unbelievable, unbelievable. I've seen things and done  
21 things and come out of there and say, whoa, man, that  
22 was awesome. I can't believe I did that. But, I  
23 don't do it for money. I'm paid well, but it's not  
24 just a job. It's something you get in you. And we  
25 study rules, maps all the time. It's not just the day

1 before a contest or a week before a contest or a month  
2 before a contest. It's every day. Stuff goes through  
3 your head every day. You've got to, because you don't  
4 have time to think in a disaster. You don't.

5           We fought a fire at 84. We didn't say, I  
6 need to set a post here, I need to set a post there.  
7 It was there. The guys behind you turned around --  
8 when you turned around to ask for something, they  
9 already had it. It was there. You just put it in and  
10 you go on.

11           And that's another thing that comes up with  
12 training. The company I work for, Consult Energies,  
13 has been real good about training us. We've been over  
14 to the NIOSH Lake Land several times. I can't -- the  
15 last few years, we had to cancel, because we've been  
16 at a fire somewhere. But, the hands-on, in the smoke,  
17 you can't believe how dark it is. The guy said, the  
18 thermal imaging camera, you can put it up against your  
19 lens, that's all you can see is the lens of your face  
20 mask. I mean, you can't see nothing. You feel your  
21 way through, and through practice, we learned how to  
22 explore these areas so we don't go by something that  
23 can endanger us or a person, leave somebody behind.

24           Gas detection devices, some of the best on  
25 the market aren't in use. The Rykin is probably still

1 the best methane detector they ever made. It's top  
2 notch, buddy. I mean, you know, and they questioned  
3 our sanity and stuff and sometimes I have to do that  
4 myself. When we were in Lverage and we were 100 feet  
5 from a fire, had 6.75 methane. Well, that's right  
6 about the middle of the explosive range, guys. Talk  
7 about looking down a gun barrel, that's looking down a  
8 gun barrel. But, that's what we do. We know the risk  
9 and we accept the risk. We're not no heros. We're  
10 just men. We just work and try to do the job we were  
11 trained to do.

12           These new teams, these little contract teams  
13 don't have the experience we've got. To tell you the  
14 truth, there's not very many people, who've got the  
15 experience that we got. We've been to a lot of fires  
16 lately, lot of disasters. Places people won't go, we  
17 go willingly. It's not easy to do, but that's what we  
18 do.

19           I know I've talked in circles, but I'm  
20 sitting down. I function better on my feet. I never  
21 have trouble speaking my mind. I'm trying to be civil  
22 here. A lot of things I would really like to say that  
23 don't need said today. The main thing is training.  
24 Back to the contract teams, you have two guys from  
25 this mine, two guys from that mine, two guys from

1 here. I'm thankful that them fellows have the  
2 intestinal fortitude to strap on that machine and try  
3 to do what we do. But, they don't do what we do. I  
4 mean, they're trying, but it's not their fault. We  
5 have a lot of things that go on in the industry that  
6 are compliance. At our mine, we have fire nozzles  
7 that are complaint, ain't worth a darn. Turn the  
8 water on, the guts fall out of it. So, now, you just  
9 got to let it pass its regulations, okay. It will  
10 last 50 psi for 30 minutes or whatever it is. That's  
11 not good enough. You've got to have good equipment.

12           Our sound power system was made in the 1950s  
13 and it still works like it's brand new. We have a  
14 brand new one that works like it was made in the  
15 1950s. It's the truth. We take it, but we don't use  
16 it. It's a brand new thing. You can pull a bulldozer  
17 out with that old cable. That new one, you step on it  
18 and the guy walks off it, it stretches it.

19           Young man talked this morning about passing  
20 legislation. Well, we've got public outcry now  
21 because men lost their lives, so we need to do  
22 something. We should do something. Don't be hasty  
23 and do something that's not going to be right. We  
24 have laws about fire extinguishers underground at oil  
25 stations. It doesn't matter if it's sitting on top of

1 the oil station. It doesn't matter if it's in-by the  
2 oil station where the smoke and fumes is going right  
3 over top of it. It's legal because it's there. Don't  
4 make it legal because it's there. Let's do things  
5 right. We didn't kill people today, thank God,  
6 hopefully.

7           Let's not make a hazard or something that's  
8 going to delay us when the next one arises because  
9 it's going to happen. It's been happening ever since  
10 there has been coal mines. There's too many things  
11 there we can't control, but there are some things that  
12 we can, so let's do a good job on the things we can  
13 and try to rely on the man above to take care of what  
14 we can't and be smart enough to know the difference  
15 between the two. I'll let somebody else talk now. I  
16 could go on all day.

17           MR. STONE: Thank you very much

18           (Applause.)

19           MR. STONE: The next speaker is Craig  
20 Carpenter. Would you begin by spelling your name and  
21 stating your affiliation?

22           MR. CARPENTER: My name is Craig Carpenter,  
23 C-A-R-P-E-N-T-E-R, first name, C-R-A-I-G.

24           Good afternoon. My affiliation today is  
25 with the United Mine Workers of America and with the

1 CONSOL Energy Company and proud to represent 450  
2 United Mine Workers underground at the Robinson Run  
3 Mine in north central West Virginia and probably  
4 around 150 company personnel, too. So it's with pride  
5 that we're here today.

6           A lot of things have been said today. I was  
7 really surprised -- be truthful with you about the  
8 companies that show what we have. I would encourage  
9 each and every corporation here today, you let us have  
10 it to use it for a while. We'll make it or break it  
11 or tell you it's good. That's the best way I know how  
12 to tell you. But do not ever assume that a cable or  
13 anything like that can possibly withstand a coal mine  
14 explosion. It moves hundreds of tons of steel like  
15 nothing.

16           But what we need, as a mine rescue team,  
17 which I'm proud to say I've been there 25 years and  
18 been with this group of guys here for a long time and  
19 know them like they are family -- we travel an awful  
20 lot together, but one thing we drastically need, as a  
21 mine rescue group, and we depend so much on the Mine  
22 Safety Health Administration and their radios, and we  
23 use our hands so very much. If there was something  
24 that could come to surface, but it's just sitting in -  
25 - that frees our hands up to use it would be a great

1 asset to a mine rescue team that will let them talk to  
2 each other. Like Jimmy said, we've spread out so very  
3 much. It's not like we're contained in just a little  
4 group. As we explore all of our entries, we can have  
5 communications with each other.

6 My purpose underground in the event of the  
7 Sago thing was communications, and we go with our  
8 company, which has some great corporate people that we  
9 have dealt with over the last five years, and the  
10 whole thing here today has been about communication.  
11 Communication underground to the outside is a very  
12 important thing. It was very difficult for some of us  
13 to talk to a strange voice from another company, but  
14 when we talked to the men from our company that had  
15 that familiar voice, it was a relief.

16 It would be great to have people like -- I  
17 know most of you will not recognize the names, but Ron  
18 Tolinoski, for example. We've worked with him for a  
19 long time. It would be nice to have a group of  
20 federal representatives that we know in a command  
21 center that understands our language because we all  
22 know. The southern part of West Virginia may have  
23 different terminologies than what northern West  
24 Virginia or Pennsylvania does. I would encourage you  
25 guys to come up with maybe different federal men that

1 our mine rescue teams have worked with so that we can  
2 have a familiar voice there.

3           Things that can withstand prolonged amounts  
4 of water. The coal mine isn't necessarily a dry place  
5 when it has been shut down for six months to a year.  
6 We do a lot of wading of water in a lot of places  
7 because they have to dump the water underground  
8 sometimes to put the fires out after they have sealed  
9 the mine. So, vendors, take that into consideration:  
10 prolonged periods of water.

11           There are different ways of communication  
12 out there today that probably would be very  
13 substantial to a mine rescue team. Over the years,  
14 the inventions that have been made and the progress  
15 that has been made in the coal mining industry, 95  
16 percent of it has been based on production, not on  
17 lives, and it's hundreds and hundreds of men that go  
18 underground every day that risk their life so you can  
19 have fire in your house so you can be warm in the  
20 winter and cool in the summer.

21           It is the responsibility of each coal  
22 operator in our country, the state department of  
23 mines, the federal Mines Safety and Health  
24 Administration, the United States Senate and the  
25 United States Congress, and the president of the

1 United States to give their best toward us because we  
2 give our best to you every day. Tragically, sometimes  
3 it is by life, and we pray that none of this ever  
4 happens again.

5           It's easy to go put out a mine fire. You  
6 may be away from your family for a long period of  
7 time, but it's just a fire. But it is something  
8 totally different when there are people involved, and  
9 there's things you can't get away from. I would  
10 encourage you guys, for the oxygen stored underground,  
11 be very cautious with that and make a very competent  
12 decision. Don't rush into it because that could be  
13 quite possibly a very fatal thing.

14           Safe rooms should be required, yes. They  
15 really should be. I think, in some cases, it would  
16 save lives, maybe not all, but some. In Sago, there  
17 was one.

18           We would ask you to be very time consuming.  
19 Look over the overall picture. Don't make a rash  
20 decision because we count on you to make the decisions  
21 that affect us down the road. I would encourage you  
22 to do what your heart tells you to do. I think every  
23 coal miner that goes into the coal mines of West  
24 Virginia, Pennsylvania, Alabama, wherever they may be,  
25 deserves your utmost consideration in these matters,

1 and our men at the mines are weak on training, the  
2 very base roots. We spend, out of 365 days a year, an  
3 eight-hour training session. Is that enough?

4           But there are things that people want that  
5 may not be the best thing for the underground coal  
6 miner. Like I say, vendors, you give it to our mine  
7 rescue team, we'll try out your communications. We'll  
8 tell you whether it's any good or not. So we'll go  
9 from there, but I want to thank you for your time. We  
10 appreciate each and every one.

11           MR. STONE: Thank you.

12           (Applause.)

13           MR. STONE: The next speaker is Larry  
14 Tenney.

15           MR. TENNEY: Good afternoon. I'm Larry  
16 Tenney. That's L-A-R-R-Y T-E-M-N-E-Y. I'm a UMWA  
17 member, a member of the rescue team for Robinson Run  
18 Coal Mine and CONSOL Energy.

19           I've been an underground coal miner for 32  
20 years, a mine rescue member for almost 25 years.  
21 What's going on here today is the first step, I think.  
22 If there was something available before this at the  
23 Sago Mine, if we knew where the men were, or if they  
24 could have talked to us, things would have been  
25 different. This may change future incidents, I hope.

1            Mine rescue teams, we're underground miners.  
2     I'm a roof bolter. On January 2, I was working the  
3     day shift and got the call to go to -- they said that  
4     there's 13 men trapped in Buckhannon Mine. Before  
5     that, I was thinking about going home that night and  
6     watching the Sugar Bowl with my son, but, instead, we  
7     was down at the Sago Mine. We didn't even think about  
8     the ball game until after we got out that night.

9            But I'm not going to take up a whole lot of  
10    time except to say that I'm glad the United Mine  
11    Workers is behind this effort. The federal MSHA  
12    inspectors that were with us; they are the best there  
13    is. They work right along beside you, and they do the  
14    best job that they possibly can.

15           I just wish things had turned out  
16    differently, but like Craig said, there was one man  
17    saved, and hopefully he may shed some information on  
18    what actually happened, which is a mystery probably  
19    still yet to everyone.

20           That's about all I've got to say on the  
21    matter today, and I thank you.

22           MR. STONE: Thank you.

23           (Applause.)

24           MR. STONE: The next speaker is John Jordan.  
25    Is he here?

1           MR. JORDAN: Good afternoon. My name is  
2 John Jordan. That's J-O-H-N J-O-R-D-A-N. I'm a  
3 member of the executive board of Central Mine Rescue.  
4 That is a not-for-profit corporation in the State of  
5 Idaho that was organized in 1923 for the purpose of  
6 improving mine rescue response and the ability of  
7 member and associate member mines to provide mine  
8 rescue coverage for our local mines.

9           We're located in the Cordlanes Mining  
10 District, but we have member mines and associate mines  
11 located throughout the western United States. We  
12 currently cover 23 different properties. I'm speaking  
13 on behalf of Central Mine Rescue, and I would like to  
14 direct my comments at the request for information  
15 published in the federal record on the 25th of this  
16 year.

17           I'm going to be very brief. I won't use 15  
18 minutes. First off, I do want to say that those of us  
19 who are in the underground hard rock industry, the  
20 metal and nonmetal industry, have the greatest respect  
21 for what the coal mine teams did. Our mining industry  
22 is a natural resource industry. We exist by finding  
23 ways to capitalize on the myriad of different mineral  
24 deposits that God has blessed this country with. To  
25 the extent that nature has made each of those mineral

1 deposits unique, each mine is unique, and it's unlike  
2 all others.

3           A lot of what I'm hearing today and seeing  
4 here -- maybe this is just something I'm putting into  
5 my mind, but it almost seems like we're looking for a  
6 silver bullet, some sort of magical formula that's  
7 going to make everything good from this point forward.  
8 I don't believe that there is a silver bullet for  
9 that. I don't think there is any single  
10 communications tracking system, no single refuge  
11 chamber design, no single response protocol, no single  
12 training program that's going to be applied that can  
13 be effective in each and every mining situation and  
14 will ensure that there is a successful end to every  
15 mine rescue operation.

16           Central Mine Rescue has been following the  
17 progress quite closely, and we applaud the efforts to  
18 conduct a thorough search for technologies that can  
19 assist or improve rapid mine emergency response.  
20 We're all in favor of efforts to identify new  
21 technologies that can assist. That's part of the  
22 reason we came out here today. This thermal-imaging  
23 camera looks like something that I think could really,  
24 really assist us a lot.

25           As Craig and Jim mentioned, the interteam

1 communications are always a problem, and anything that  
2 can come up along those lines would be greatly  
3 appreciated.

4           Any technology that can improve our ability  
5 to locate and reach trapped miners would be a huge  
6 plus, but we strongly question the new trend of  
7 promulgating legislation reflexive to an emergency  
8 this quickly without, as Jim and Craig cautioned,  
9 solid, reasoned, cautious reasoning to make sure that  
10 we come to a good, workable solution.

11           We've got to recognize that every mine is  
12 different, and what is a solution in coal may not be  
13 the right solution for hard rock mining and vice  
14 versa. We've got to make sure that the regulations  
15 that we put in place, and as Jim and Craig said, we  
16 need regulations unquestionably, but what we put in  
17 place has to have flexibility to serve all aspects,  
18 all operations. Don't mandate that we have one type  
19 of a communication system that has to be used if it's  
20 not applicable to the application that we're going to  
21 be making. You've got allow us the flexibility to  
22 make those decisions as rescue teams, as operators, as  
23 miners, to make those decisions.

24           In closing, let me say that the keys to  
25 successful mine rescue lie in good preparation and

1 good response. Preparation includes training of the  
2 miners that are going to be working in there. They  
3 need to be thoroughly trained. In our mines,  
4 typically we have the eight-hour-a-year refresher,  
5 eight-hour day annually, and also one day a month we  
6 have at least a half an hour to an hour, two meetings,  
7 and we will specifically address individual topics  
8 along those lines, including mine escape.

9           Good preparation and good response by  
10 properly trained and properly equipped rescue  
11 personnel is not achieved through reactionary, cookie-  
12 cutter solutions. It's achieved through solid  
13 commitment by companies to preparedness and to the  
14 expense of training the rescue teams, solid support by  
15 state and federal officials to the business of  
16 preparing mine rescue teams, solid dedication of the  
17 individual mine rescue team members, and as I said  
18 before, good training of the personnel that need  
19 rescue. Thanks for listening.

20           MR. STONE: Thank you very much.

21           The next speaker is Donald Jack, Don Jack.

22           MR. JACK: Good afternoon.

23           MR. STONE: Good afternoon.

24           MR. JACK: I'm from CONSOL Energy. I'm a  
25 UMWA member and a member of the rescue team. I would

1 like to thank you all for having us here today.

2 MR. STONE: Thank you.

3 MR. JACK: I would like to say that one of  
4 the biggest problems we have is with communications.  
5 That's really a big deal, like Jimmy said. As far as  
6 our self-contained, self-rescuers, I think we should  
7 keep. I understand they were thinking about getting  
8 rid of the W-65 and going to the 1,000, or whatever it  
9 is, the bigger one. I think CONSOL has probably, at  
10 least in our mind, the storage plan. I think we have  
11 a very good storage plan with the SCSRs, and I feel  
12 that we should keep the W-65s that every miner wears  
13 instead of the bigger one because I'm sure a lot of  
14 guys will take that bigger one off and lay it on  
15 something and walk off, and it will just be laying  
16 there, and if they need it, they are not going to be  
17 able to get it. They are keeping the 65 on them.  
18 That would be there own fault if they do lay it down,  
19 but that's going to happen, and it could develop into  
20 a sad situation, which we don't want to get into that.

21 Then as far as the BG-4 and the 174, it  
22 could probably stand even a little more improvement.  
23 They are very good machines, and they do work, as we  
24 have proven that, but we could probably use a little  
25 buddy system on there that if somebody would go down,

1 we could tap into their face piece and give them some  
2 air while we are taking them to the fresh air base  
3 perhaps.

4           If there could be some kind of an adapter  
5 put on these or whatever, and really communications is  
6 one of the biggies to us, I feel, that could be  
7 improved on a lot, even the sound-powered system and  
8 the walkie-talkies and all this. Some of the things  
9 that these people have been talking about, the vendors  
10 or whatever, some of it, I understand, and some of it,  
11 I don't. I don't understand how this cable heals  
12 itself when it gets torn in two. That's above my  
13 head, I guess, but anyway, like Craig said, if you let  
14 us use it, we can either tear it up for you or make it  
15 work. Even if it don't work, we'll figure out a way  
16 to make it work.

17           That's about all I have to say, and I would  
18 like to thank you all for allowing us to come today  
19 and speak.

20           MR. STONE: Thank you.

21           MR. JACK: Thank you.

22           MR. STONE: Could I ask you just to spell  
23 your name for the record?

24           MR. JACK: Oh, I'm sorry. The first name is  
25 Donald, D-O-N-A-L-D, and the last name is Jack,

1 J-A-C-K.

2 MR. STONE: Thank you so much.

3 MR. JACK: Thank you.

4 MR. STONE: The next speaker is Doug Wade.

5 MR. WADE: Hi.

6 MR. STONE: Could you spell your name for  
7 the record and give your affiliation?

8 MR. WADE: Doug, D-O-U-G W-A-D-E. I'm a  
9 member of the mine rescue team for Backsville No. 2.  
10 I've been in the coal mines for 27 years and a rescue  
11 team member nine years. It seems like since I've been  
12 on the team, we've had something to do every year.

13 I want to talk a little bit about the rescue  
14 chambers. I feel that they could do some good. I  
15 feel that they have to be nothing too bulky. It needs  
16 to be like a little system where you maybe pull a rip  
17 cord, and you can get enough people, 10 or 12 guys,  
18 whatever is on the section -- there has got to be one  
19 at each section -- and have supplies with them. It  
20 needs to be something kind of small but made out of  
21 material that will withstand something. It doesn't  
22 have to be an explosion but something. It needs to be  
23 looked into.

24 I'm on the section myself. I'm a mechanic  
25 on the section, and I think it needs to be the last

1 resort, though. This needs to be taught to the guys  
2 on the section, this is your last resort if you can't  
3 get out. But it would be nice to just look into this  
4 and see if they can come up with something that was  
5 not bulky and everything, but they are going to have  
6 to have them on each section.

7           That's just about all I've got to say.

8           MR. STONE: Thank you very much.

9           MR. WADE: Thank you.

10           (Applause.)

11           MR. STONE: The next speaker is Rick Cosner.

12           MR. COSNER: My name is Richard Cosner,  
13 C-O-S-N-E-R. I belong to the United Mine Workers and  
14 Consolidated Coal Company. I'm a member of the mine  
15 rescue team and proudly.

16           What I see is a lot of problems. We've been  
17 an incident every year since '98, and in every  
18 incident we learn something new. Mainly is first  
19 response. If there was a first-response team there to  
20 have everything set up like the mine communication,  
21 the gas hemautograph, if it was on Sago, that could  
22 have been going before we even got there and set up.  
23 That could have allowed us hours before we even got to  
24 the mines to be prepared. If there was a team there  
25 that would have the maps ready, have that set up, have

1 designated areas for us to set up our equipment -- we  
2 had the equipment available to us. CONSOL made sure.  
3 They supplied us very well, but I see other  
4 technology out there that caught me by surprise.

5 I'm a coal miner. We don't get out there  
6 very often, and most of the time we're tied up in  
7 mining. This is a really unique opportunity for a lot  
8 of us. It's hard for us to speak. We're not public  
9 speakers; we're miners, but there is a need for our  
10 opinions, and I feel that we've got something to say.  
11 This is going to directly impact us, and for strangers  
12 to be sitting up here making decisions that I'm going  
13 to use this, I'm not really sure that I want that to  
14 happen. I want to be included, and I'm not only  
15 speaking for myself -- excuse me -- I'm a little bit  
16 nervous -- I'm speaking for my fellow mine rescuers.

17 There are only 120 mine rescuers that are  
18 experienced to the extent that we are, only 120. That  
19 is unacceptable. During this investigation at Sago,  
20 we could have had another incident. There wasn't even  
21 a mine rescue person on site while these people -- we  
22 had just lost 12 guys there. So now the mine is safe  
23 for you to go in and conduct this investigation?  
24 That's not acceptable to me. So we were done. We did  
25 what we were supposed to do. Then we go home and

1 allow you to enter this mine without someone watching  
2 over you? I mean, God forbid there had ever been  
3 another problem there, but what would have happened if  
4 there would have been?

5           If another explosion would have occurred  
6 while we was there -- it was a circus -- there would  
7 have been hundreds of people outside of that mine, not  
8 only the people inside that mine, and that can't  
9 happen no more. We can't allow that to happen.

10           Also, our command center. We need the same  
11 training on those command people that goes into us.  
12 If they don't have the experience, and we're going to  
13 listen to them, and they are giving us the opportunity  
14 to learn ventilation, rescue procedures, how to enter  
15 dangerous areas, and they don't have the same  
16 knowledge that we have, and we are to trust them with  
17 our lives? I don't think so.

18           Maybe they are creating a monster by giving  
19 us this extra training, by sending us to these  
20 competitions. I was completely against it. I was on  
21 a working team. I never was involved in this mine  
22 rescue training or the competitions. But we have been  
23 involved, and now that I'm involved, I want a voice.

24           We just have a certain amount of people  
25 outside there that we trust to go in a mine with. We

1 need to be involved in these new miners being trained  
2 for mine rescue just to give them simple tips that we  
3 learned as it was being developed. I mean, I raised  
4 backpacks on site at Sago with warning whistles covers  
5 and plugs and apparatus and oxygen not up to 3,000  
6 psi. It just scared me.

7 I went to Bill Tolliver, a man I learned to  
8 trust and really admire, and I said, Bill, we can't  
9 allow these guys to be our backup. We can't allow  
10 these guys to go in. I said, not that they are not  
11 wanting to, and we would want the help, and we needed  
12 the help. It was because of the lack of experience.  
13 These people need the same training that we have.  
14 They put us through rigorous training, and it takes a  
15 certain person to be able to be trained as they train  
16 us, but we want to do this. This is not something  
17 they are forcing us to do. We want to, and we are  
18 proud to do it.

19 I was at a hearing. I've never been  
20 involved in none of this politics. I went to a  
21 hearing. I sat in front of the Senate. Man, Hillary  
22 Clinton came out. I said, wow. Kennedy and Byrd and  
23 Rockefeller. Wow, that's pretty impressive. Then I  
24 started listening to these people, and I said, these  
25 people are speaking for us. I said, we need to help

1 them. We don't need to be sitting here like stick  
2 people. You know, hey, we've got the members of the  
3 mine rescue team here. Yay. We need more members of  
4 the mine rescue team. We need to listen to our mine  
5 rescue team members.

6 Mine rescue is not only the United Mine  
7 Workers. We work with company personnel that are some  
8 of my best friends and nonunion miners. We are some  
9 of the best in the world, and we've got something to  
10 give back. During the Sago incident, we listened to  
11 the media say this is the only employment for us,  
12 around the mines and stuff. It's not. It's where we  
13 decided we wanted to make our living. My boy recently  
14 passed away. He was a graphic artist, and he decided,  
15 Hey, dad, I would like to go to the mines. I said,  
16 Come on, let's go. I was proud for him to be a miner.

17 For them to say that's the only employment  
18 there, they are wrong, and for them to say that's our  
19 only chance to make a living, they are wrong. Those  
20 miners are in there to put salt on your table, to  
21 power your houses, to put the diamond ring on your  
22 wife's finger at the wedding. We're in there for you  
23 guys, and we enjoy it. It's a hard job. Everything  
24 is a hard job. I wouldn't want this job. I wouldn't  
25 want to be a taxicab driver in this city for nothing.

1 I would much rather go into a burning mine.

2 (Laughter.)

3 MR. COSNER; If you're going to make  
4 decisions that's going to impact all of us, include  
5 us, please. That's all I have to say.

6 MR. STONE: Thank you very much.

7 (Applause.)

8 MR. STONE: I'm not sure I have the name  
9 correct. Ron Bowersox.

10 MR. STONE: Okay. Thank you.

11 MR. BOWERSOX: Ron Bowersox. That's  
12 B-O-W-E-R-S-O-X. I am a United Mine Worker, and I  
13 represent the mines that these mine rescue members are  
14 from. Just a little bit about these guys.

15 I drove their van down with these guys, and  
16 I tell you what, just listening to them today, you can  
17 see what kind of men they are. These guys work every  
18 day in the mines, just like we've got to work every  
19 day. They spend weekends upon weekends in training,  
20 and they are really dedicated in what they do.

21 The other thing: I've been part of this  
22 investigation at Sago since it happened. Dennis  
23 O'Dell and myself was there when they brought the  
24 victims out of the mines, along with the survivor,  
25 McCoy. Just some things I want to cover that I picked

1 up at Sago that could be addressed and could be  
2 standardized.

3           First of all, more teams need to deploy  
4 faster. These guys spent as high as 18 hours  
5 underground. You have Federal 2 mine. You have  
6 Cumberland, Emerald right over across the hill. If  
7 those guys had went there, it would have made it a lot  
8 easier for the teams that went in.

9           Legal problems, as far as one company  
10 helping another with mine rescue teams, that part  
11 should already be covered, like what happens if they  
12 go there, and what if somebody gets hurt or whatever?  
13 That legal part needs to be straightened out prior to.

14           A standard ID for these guys. There's at  
15 least four check points that we had to go through to  
16 get to that mine site. A standard ID card for every  
17 mine rescue member across the country should be there.

18           Some of this stuff has been repeated, like  
19 trailers. CONSOL has their own. Each mine has their  
20 own trailer, and they are really equipped nice. They  
21 have got generators. When I was there, it seemed like  
22 no big deal, but you would be surprised how many cars  
23 are there when something like this happens. These  
24 guys are pulling trucks, trailers. We need a place  
25 for you guys to park.

1           You need updated maps for these guys as soon  
2 as they get there to be update on the area affected.

3 Okay?

4           Communications; everybody has hit that.  
5 Everybody mine rescue member needs communication of  
6 some type, and it's got to be compatible with the  
7 federal, the state, everybody involved. It's not good  
8 having a communication device if I can't communicate  
9 with the person next to me.

10           More training needs to be done. Like I'm  
11 saying, these small contract companies and mines;  
12 there is no way these guys are trained like CONSOL  
13 mine rescue team members are.

14           Something else that could be done: They  
15 need a standardized supply car so that when they go  
16 into that disaster, you'll have supplies you need.  
17 Just like you would have a fire car, first aid  
18 equipment, you need a standardized, mine rescue car  
19 that can be taken right in with those men when they go  
20 in.

21           Something that was brought up -- I didn't  
22 realize this, but one of the mine rescue members  
23 brought it to our attention -- when they drill a hole,  
24 they usually drill right down to the tail piece of the  
25 section, and the reason they say they do that, that is

1 the last documented surveyed site. They do methane,  
2 oxygen, CO readings from that hole, plus they lower  
3 the camera down in. They looked around. They seen  
4 the feeder car. They seen the shuttle car, everything  
5 in place.

6           Something simple as to have a standardized  
7 board maybe on the right rib. If they lowered that  
8 camera down in, they could focus that camera and maybe  
9 read a message that the miners left, or if they can't  
10 read it with a camera, when the mine rescue members  
11 get in there, that's the first place you would go to  
12 see what kinds of messages are left. Miners at Number  
13 3 heading, two hurt, anything. They could just read  
14 that; it's standardized.

15           Command center. A mine rescue member should  
16 be a part of that command center. Who knows better  
17 than the mine rescue members what's going on in that  
18 mine?

19           I guess, in closing, the bottom line for,  
20 like, the last 20 years, everything in the coal  
21 industry has been towards production. They updated  
22 longwall. Roof bolters -- you name it, they have it.  
23 But very little has been taken for the safety and  
24 mine rescue members in training.

25           So that's all I have to say, and thank you

1 for the time.

2 MR. STONE: Thank you.

3 The next speaker is Tim Baker.

4 MR. BAKER: My name is Tim Baker. I am  
5 deputy administrator for occupational health and  
6 safety for the Mine Workers. I'm going to try to be  
7 as polite as I can, but anybody that's had many  
8 dealings with me knows that I'm usually pretty blunt.

9 One thing I want to say, I think, to begin  
10 with is for everyone here who has heard on numerous  
11 occasions, gee, we don't want a knee-jerk reaction, we  
12 don't want to jump into I think, let's not make the  
13 thing worse than what it is, in 1968, if we had that  
14 attitude, we wouldn't even be talking about the 1969  
15 Coal Act. Somebody did something. Something has got  
16 to happen now. Something has got to happen as a  
17 result of the first two months of this year.

18 So let's not try to focus on a knee-jerk  
19 reaction. We have a lot of information. We have a  
20 lot of technology out there. We need to sift through  
21 it. We need to do it quickly, but let's not delay it  
22 by saying, gee, let's not jump in too fast. I applaud  
23 the agency for moving quickly on some of these issues.

24 I have some written testimony, and then I'll  
25 just kind of talk off the top of my head. I am

1 pleased to have the opportunity to offer these  
2 comments on underground mine rescue technology,  
3 although I think a lot of the day was spent on the  
4 overriding communications whenever I thought the  
5 hearing was pretty specific to mine rescue. But all  
6 of that information may be integral to one part or the  
7 other.

8           The union has pushed for many years to have  
9 the mining industry incorporate new and advanced  
10 rescue and other health and safety technology in their  
11 operations with the same vigor that they embraced new  
12 and more productive mining equipment. Unfortunately,  
13 in the mining industry, that is rarely the case.  
14 Because of a lack of desire on the part of industry to  
15 invest adequate resources in miners' health and  
16 safety, we find ourselves here today discussing issues  
17 that should have been settled long ago.

18           The comments you have heard today from  
19 members of the MWA who are members of the mine rescue  
20 teams at their particular operations are not new to  
21 anyone, I would say, on this panel and a lot of people  
22 in this room. They, like so many other miners, have  
23 testified in previous hearings and understand what is  
24 best needed to protect and preserve the health and  
25 safety of miners not only after a disaster but as they

1 do their routine, daily operations.

2           It is our hope, and it is the hope of each  
3 of them and their union, that these proceedings will  
4 bring about much needed change in the industry. In  
5 order for this to occur, the Mine Health and Safety  
6 Administration must return to its core function of  
7 enforcing the Federal Mine Safety and Health Act of  
8 1977 and promulgating new and more stringent  
9 regulations, as was the intent of Congress.

10           The agency, in recent years, has been seen  
11 by miners as more of an obstacle than the protector  
12 that Congress intended. It has been more concerned,  
13 in our opinion, about the operators' bottom line than  
14 the health and safety of the miners. When a business  
15 fails and does not remain viable, profits slip, and  
16 stockholders lose money. When MSHA fails to fulfill  
17 its mandate, we have Sago, we have Jim Walters, and we  
18 have Alma.

19           In the last 12 months, counting from  
20 February to February, we've lost 43 miners in this  
21 country. This is unacceptable. We need better, we  
22 need stronger, we need less flexible, more rigid  
23 regulations.

24           A couple of comments that I would like to  
25 make, and I've heard this several times today. We are

1 not opposed to some sort of flexibility within a  
2 framework that says we want the communications system  
3 to be capable of this or that, or we want this  
4 regulation to be followed like this or like that, but  
5 from our perspective, we must be very careful when we  
6 talk about flexibility. Flexibility, in the opinion  
7 of the mine workers and their union, is no air quality  
8 rule. Flexibility is no belt-flammability rule. It  
9 is no next generation of SCSR. It's mine rescue team  
10 policies that are contrary to the regulation in the  
11 Mine Act. But it also means Omega block stopping and  
12 Omega block seals, contrary to the Mine Act. And it  
13 also means belt air.

14           These are problems that we see as affecting  
15 mine rescue teams and miners in many instances.  
16 Obviously, we have some major concerns with the  
17 sealing operation that occurred at Sago, and when  
18 those things occur, and teams are called to the scene,  
19 it becomes very confusing as to exactly what they are  
20 dealing with. So when we talk about how to protect  
21 teams, we need to look just beyond, and I know that  
22 we've looked at communications extensively today.  
23 We've looked at the number of people on teams and what  
24 equipment is necessary, but we need to know the  
25 infrastructure of that mine.

1           Does anybody with a practical understanding  
2 of coal mining believe that Omega blocks should be  
3 used to seal an abandoned area? This is a hazard that  
4 we've created, and now we have rescue teams going in  
5 there, not knowing exactly what the rest of the mine  
6 may be sealed with or what the block stoppings are  
7 made out of. These are real concerns that we need to  
8 look at. So when we talk about flexibility, we need  
9 to be very careful.

10           The other thing that I think is important  
11 that has kind of been hit a little bit but not  
12 entirely is when we talk about mine rescue teams, my  
13 reading of the act may be off, but it says: "Mine  
14 rescue teams shall be available at all times when men  
15 are underground." The regulations require two  
16 available mine rescue teams. Somehow, folks, we've  
17 got to get past the system of allowing contract rescue  
18 teams to be considered substantial enough to do this  
19 work. This is a bad system. This is a system that's  
20 broke. This is a system that puts my membership in  
21 harm's way.

22           These people, in many instances, are not  
23 getting the same training. It's a paper chase, is  
24 what it amounts to. As long as you sign the  
25 documents, as long as you've got the contract, then

1 you're fine under the regulation. Some of these  
2 people that were on property should not have been on  
3 property. That's not their fault. These people need  
4 to be trained to do these operations.

5           So we need to reevaluate what that policy  
6 is, and we need to get back about the business of  
7 looking at the situation and saying, if you want to  
8 run a coal mine, you've got to have two mine rescue  
9 teams from your operation available. I mean, Sago is  
10 a large operation. Sago is 200 people. Sago should  
11 have its own mine rescue teams that are inherently  
12 aware of the situations at that mine, the gas that's  
13 ventilated, where the miners are, where the sections  
14 are, where the pumps are. That's what they need.  
15 That's what this agency should require. That is what  
16 Congress intended, if you read the act. That is what  
17 Congress intended.

18           We've hit on rescue chambers. I won't go  
19 into that too much more.

20           There have been a lot of good ideas, I  
21 think, kicked out here, but we need action. Quite  
22 frankly, we need action. We have seen no action in  
23 the recent past, and that's unfortunate. In the  
24 information request, you asked for some specific  
25 information, and we applaud that from our side.

1 However, if getting there means that we are going to  
2 wait until we find the perfect, then the effort here  
3 is futile. We need to immediately identify  
4 communications systems that work, next-generation  
5 SCSRs, and if that's for rescue teams, that's great,  
6 and if you can apply that to miners every day, that's  
7 great.

8           We need to identify those things and move on  
9 those things now. The perfect will come later, or the  
10 perfect may never come, but if I have a system that  
11 works half the time or that applies to half of 75  
12 percent of that mine on a routine basis, and there may  
13 be shadow areas, and there may be areas where you  
14 won't have the ability to contact, that's 50 percent  
15 better than what I have now. It's not a false sense  
16 of security. There is no security at this point. If  
17 we had the ability to tell the miners at Sago, PED, go  
18 to Entry 3, go to Entry 2, walk 500 feet, you'll be in  
19 the clear, we would have 12 miners alive instead of  
20 one.

21           We need to look at the technology quickly,  
22 implement what is available, and go from there. But  
23 we do today find ourselves in a very difficult  
24 position regarding the mining industry and the agency  
25 that has been created to regulate it.

1           I think you heard the frustration from the  
2 membership of the miners that sometimes we wonder who  
3 is doing whose bidding in this process, and, quite  
4 frankly, many of the miners believe that the agency is  
5 more than willing, and has been for the last several  
6 years, to do the industry's bidding. Industry doesn't  
7 need assistance in that form. Miners need protection.  
8 To do otherwise would be immoral. But we are tired  
9 of being shut out of the system, the system that,  
10 quite frankly, miners created.

11           This agency and the Bureau of Mines and the  
12 1969 act were not the result of some epiphany of  
13 Congress. It was the result of dead coal miners.  
14 It's time to return to the roots from where you came  
15 and understand that it's the miners that need your  
16 protection. The industry can fend for itself. Thank  
17 you.

18           MR. STONE: Thank you. Celine, you wanted  
19 to make an announcement of an administrative nature?

20           CELINE: If there's not any more visual  
21 presentations, we're going to try and get some of that  
22 equipment back so we can start processing some of the  
23 presentations into the record, but if you need us  
24 here, we will stay. Does anybody have any more visual  
25 presentations? No?

1 MR. STONE: I think we have, by my count,  
2 about five more speakers, maybe four. I think I see  
3 three or four. I'm not sure if there is a name here  
4 or not. It may be only three.

5 In any case, I would like to, at this point,  
6 before we call the next speaker, to take about a 10-  
7 minute recess until five minutes until three. We'll  
8 reconvene then.

9 (Whereupon, a short recess was taken.)

10 MR. STONE: Okay. We're going to go back on  
11 the record. The next speaker, I believe, is Judith  
12 Burr. Is she here? Judith Burn? Judith Burr? Okay.

13 Alden Osment; is he here? Alden Osment?  
14 No?

15 Okay. The last name, I can't tell -- Nancy  
16 Zuckerbay?

17 (Discussion held off the record.)

18 MR. STONE: Well, are there any other  
19 individuals in the audience who would like to speak  
20 who have not signed up to speak? All right.

21 MR. WILSON: (Off mike.)

22 MR. STONE: Come on.

23 MR. WILSON: Brian Wilson again. I would  
24 just like to say a couple of things. In Australia,  
25 mine rescue chambers do save lives and are saving

1 lives every year in both coal mines and hard rock  
2 mines. The fact that you've got the chamber there you  
3 can go down, there is oxygen, there is water, there's  
4 medical supplies, and you can go in there, and they  
5 are locked up -- I mean, going back a few years, there  
6 used to be ex-shipping containers that were all sealed  
7 up and reworked, but now they are state-of-the-art,  
8 professionally built chambers designed to withstand  
9 lots of things.

10           The other point they made was that not one  
11 system does all. You can't say this is the system you  
12 will put in every mine because every mine is  
13 different. Even though they are the same coal mine or  
14 they are copper mines or gold mines, each mine is  
15 different, and each one has different needs. As I  
16 say, we need to get these guys working with the  
17 manufacturers. They say, look, give us the equipment,  
18 and we'll put it in, but we can't do that because you  
19 guys won't let us.

20           It's a matter of where it should be a team  
21 where we all get together and say, okay, you can put  
22 it in and try it, in Australia, the onus is now on the  
23 resident mine manager. If you want to do something in  
24 your mine, it's on your neck, and he is virtually  
25 there, and in most cases now they are doing it in a

1 safe, controlled way. The mines inspectors have  
2 stepped back and passed it back to the resident  
3 manager.

4           If we're going to come up with equipment  
5 that you want that's going to work, it's not just you  
6 guys; it's these guys out here and the mine company,  
7 and the guys -- about putting money up. In Australia,  
8 every dollar I spend on R&D with the government will  
9 give me back 150 percent in my tax. If you want to  
10 encourage these mines to spend money, if you put up  
11 and say, okay, we'll give you a 200-percent cash back  
12 if you like on your tax for every dollar you spend on  
13 rescue equipment or something like that, it's an  
14 encouragement.

15           If you hand people money, they take it and  
16 walk away. What are they doing with it? Some do, and  
17 some don't. It's a two-way thing, the same as if I  
18 want to design new equipment, I can get money from the  
19 government, but it's on a 50/50 basis. I've got to  
20 put up 50 percent, so I'm going to bloody well do it  
21 because I've got to put up my money as well as get  
22 some from the government.

23           As I said, after hearing these guys, I think  
24 there should be more of them, and as I say, they  
25 should get a say, and they should be able to work with

1 all of us as a team. Thank you.

2 MR. STONE: Thank you. Okay.

3 MR. PONCEROFF: I'm back. I might have  
4 misspoke earlier. I'm not sure if I did or not, but I  
5 want to make sure that you guys know, contests are  
6 great. It's a great training tool. Other than hands-  
7 on firefighting like at the academy at Beckley or over  
8 at NIOSH, there is nothing better to train us to do  
9 what we do than a contest, and I hope that everybody  
10 understands that I didn't mean to say, if I did, that  
11 contests aren't good because they are real good.

12 MR. STONE: Thank you. Any other speakers?

13 Well, I want to thank you for your  
14 attendance and participation, and this public meeting  
15 is adjourned.

16 (Whereupon, at 3:05 p.m., the hearing in the  
17 above-entitled matter was concluded.)

18 //

19 //

20 //

21 //

22 //

23 //

24 //

25 //

REPORTER'S CERTIFICATE

DOCKET NO.: N/A  
CASE TITLE: Underground Mine Rescue Equipment and  
Technology  
HEARING DATE: March 13, 2006  
LOCATION: Washington, D.C.

I hereby certify that the proceedings and evidence are contained fully and accurately on the tapes and notes reported by me at the hearing in the above case before the United States Department of Labor.

Date: March 13, 2006

Christina Chesley  
Official Reporter  
Heritage Reporting Corporation  
Suite 600  
1220 L Street, N.W.  
Washington, D.C. 20005-4018

Heritage Reporting Corporation

(202) 628-4888