

TRANSCRIPT OF PROCEEDINGS

REQUEST FOR INFORMATION

SAFETY IMPROVEMENT TECHNOLOGIES FOR
MOBILE EQUIPMENT AT SURFACE MINES AND
FOR BELT CONVEYORS AT SURFACE AND
UNDERGROUND MINES

RFI 2018 STAKEHOLDER MEETING

Pages: 1 through 24

Place: Albany, New York

Date: September 20, 2018

HERITAGE REPORTING CORPORATION

Official Reporters

1220 L Street, N.W., Suite 206

Washington, D.C. 20005

(202) 628-4888

contracts@hrccourtreporters.com

REQUEST FOR INFORMATION

SAFETY IMPROVEMENT TECHNOLOGIES FOR
MOBILE EQUIPMENT AT SURFACE MINES AND
FOR BELT CONVEYORS AT SURFACE AND
UNDERGROUND MINES

RFI 2018 STAKEHOLDER MEETING

Public Meeting

Held: September 20, 2018

9 a.m. - 9:30 a.m.

Albany, New York

1 A P P E A R A N C E S

2

3 Kevin Stricklin
4 Administrator
5 Coal Mine Safety and Health

6 Kevin Abel
7 Assistant District Manager
8 Metal and Nonmetal, Northeastern District

9 Ed Elliot
10 Senior Adviser to the Assistant Secretary
11 of Labor for Mine Safety and Health
12 Mine Safety and Health Administration

13

14

15

16

17

18

19

20

21

22

23

24

25

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

I N D E X

Speaker:	Page:
Kevin Stricklin, MSHA	4
Mark Hoerber, Schroth	16

1 P R O C E E D I N G S

2 MR. STRICKLIN: Good morning.

3 My name is Kevin Stricklin. I'm
4 the Administrator for Coal Mine Safety and
5 Health. I'm also the Acting Administrator
6 for Metal and Nonmetal.

7 I want to welcome all of you here
8 today. Thank you for your attendance and
9 participation.

10 I will be the moderator of this
11 public meeting to gather information about
12 safety improvement technologies for mobile
13 equipment at surface mines and belt conveyors
14 at surface and underground mines.

15 On behalf of Assistant Secretary of
16 Labor for Mine Safety and Health, David
17 Zatezalo, I want to welcome all of you here.
18 This is something that is very important today.
19 Dave has taken a personal interest in both of
20 these issues, and we're going around the country
21 to different meetings for this Request for
22 Information. It is not a rule. This is just a
23 Request for Information.

24 Included with me up front here is
25 Kevin Abel. Kevin is the Assistant District

1 Manager of Metal and Nonmetal, Northeastern
2 District, and in the front row is Ed Elliot.

3 Ed is the Senior Adviser to
4 Dave Zatezalo, and all three of us are here.
5 Unfortunately, we don't have a whole lot of
6 other people here.

7 On June 26th of 2018, MSHA
8 published a Request for Information seeking
9 data and information on technologies,
10 engineering controls and best practices that
11 could reduce accidents involving mobile
12 equipment, which includes powered haulage
13 equipment and belt conveyors.

14 MSHA is considering technologies,
15 engineering controls and best practices that
16 could: 1) increase the use of seat-belts; 2)
17 enhance equipment operator's ability to see
18 all areas near the machine and warn the
19 operator of potential collision hazards; 3)
20 prevent equipment operators from driving over
21 a high wall or a dump point; and, 4) prevent
22 entanglement hazards related to working near
23 moving or reenergized belt conveyors.

24 On July 25th, MSHA announced in the
25 Federal Register six public meetings and a

1 webinar. This is the fifth of those six
2 meetings. The sixth and final meeting will
3 be held next week, September 25th in
4 Arlington, Virginia at MSHA headquarters.
5 The address of the meeting is posted on the
6 Agency's website.

7 In addition, copies of the Federal
8 Register are provided on this front table here.
9 I ask all of you that have attended to
10 sign-in, if you would, and to give us your
11 E-mail address. If we have additional
12 information, we would like to share that with
13 anybody who attended one of these meetings.

14 Mobile equipment used at surface
15 coal and metal and nonmetal mines and surface
16 areas of underground mines is a broad category
17 that includes bulldozers, front end loaders,
18 service trucks, skid steers, haul trucks and
19 many other types of vehicles and equipment.

20 Accidents involving mobile equipment
21 have historically accounted for a large number
22 of the fatalities in mining, especially in the
23 metal and nonmetal sector.

24 Since 2007, 61 miners have been killed
25 in these accidents. MSHA conducted an

1 investigation of every one of these accidents
2 and determined the contributing factors
3 included: 1) no seat-belts or noted seat-belts
4 were not used or inadequate seat-belts; 2) large
5 vehicles striking smaller vehicles; and, 3)
6 equipment operator's difficulty in detecting the
7 edges of high-wall or dump points causing
8 equipment to fall from substantial heights.

9 Dave always gives the example when
10 he's speaking that when he went out to buy a
11 new car it's pretty tough to buy one now
12 without a backup camera, and there's many of
13 them now available when you switch lanes on a
14 road it kind of gives you a warning if a car
15 is next to you; a proximity-type piece of
16 equipment.

17 And he kind of scratches his head,
18 as many of us do, I think, "Well, if we can
19 do that in a \$20- to \$30,000 car, why aren't we
20 doing this in a multi-million-dollar piece of
21 equipment that's used on the surface."

22 And so, as I said, he's really
23 interested in discussing these ideas,
24 requesting information as to the reason for
25 these meetings.

1 With Seat-belts: MSHA examined 38
2 fatal accidents that occurred since 2007.
3 MSHA determined that 35 of the 38 fatal
4 accidents or 92 percent of the victims might
5 have survived if they had been wearing their
6 seat-belt.

7 MSHA is seeking data and information
8 on engineering controls and best practices such
9 as those that affect equipment operation in the
10 event that the operator does not fasten his seat
11 belt. In other words, trying to find ways to
12 possible -- that the equipment won't start if
13 the seat belt isn't engaged.

14 MSHA is also interested in
15 engineering controls -- such as audible and
16 visual warning devices -- and best practices
17 that encourages and promotes seat-belt use
18 without directly preventing or affecting
19 equipment operation.

20 Large Equipment Striking Smaller
21 Equipment:

22 Surface mining vehicles can be
23 several stories tall, as we've all seen, and
24 have limited line of sight. Since 2003,
25 there have been 23 fatalities caused by a

1 larger vehicle striking a smaller vehicle.

2 In 2017 alone, there were four fatalities.

3 One of the fatalities that occurred in
4 Nevada of last year, there was a safety director
5 with eight people that just started working
6 at that mine. So, naturally, there's nine
7 people in this van. This big piece of
8 equipment backed up over the van, and it
9 could have very easily been nine fatalities
10 instead of two fatalities.

11 Now, I can't say we're lucky that we
12 had two fatalities, but it could have been
13 worse. And it was just a matter of inches
14 where that big piece of equipment's tire
15 actually traveled over top of that passenger
16 van.

17 MSHA is seeking information and
18 data on engineering controls -- such as
19 collision warning systems and collision
20 avoidance system -- and best practices that
21 could provide equipment operators better
22 information about their surroundings and help
23 reduce accidents.

24 Since 2007, there have been 20
25 fatal accidents in surface coal and metal and

1 nonmetal mines involving bulldozer
2 operators and haul truck drivers who travel
3 over the edge of the high-wall or a dump
4 point.

5 I've got two fatalities in metal and
6 nonmetal this year where a haul truck has driven
7 into an impoundment, and one has been posted on
8 our website as a final report. The second one
9 we're in the process of drafting right now. So
10 a current issue, as well.

11 MSHA is seeking information and
12 data on systems that integrate technologies,
13 such as GPS, radar, radio frequency, et
14 cetera, and if these systems can help equipment
15 operators better identify the edges of
16 high-walls and dump points.

17 To give you an example. A few
18 weeks ago I was golfing, and it was at a
19 course that had a GPS tied into the golf
20 cart. And I wanted to try to get up close
21 to the green so I didn't have to walk, and
22 the golf cart actually shut off; it wouldn't
23 allow me to get to that point.

24 So we've got technology available
25 for golf carts. Maybe we can take that same

1 technology and use it towards these haul
2 trucks to when they get close to the edge of
3 the high wall, if we have a good GPS system in
4 place it will shut that piece of equipment off
5 and be a full-proof way that that
6 operator can't go over the high wall.

7 So, again, we're looking for
8 information on other devices that provide visual
9 and audible and best practices that would warn
10 the equipment operators of hazards at these
11 locations.

12 Belt Conveyors:

13 Since 2007, there have been 17
14 fatalities related to working near or around
15 belt conveyors, of which 60 -- or 76 percent
16 were related to miners becoming entangled in
17 belt drives, belt rollers and discharge points.

18 MSHA has found that factors that
19 contributed to entanglement hazards include
20 inadequate or missing guards, inadequate or
21 insufficient number of crossovers in strategic
22 locations and inappropriate lock out/tag out
23 procedures.

24 MSHA is interested in data and
25 information on systems that can sense a

1 miner's presence in hazardous locations,
2 ensure that machine guards are properly
3 secured in place and ensure machines are
4 properly locked out and tagged out during
5 maintenance.

6 Training and Technical Assistance:

7 MSHA is also seeking information from
8 stakeholders on best practices, training
9 materials, policies and procedures that may
10 improve safety in and around mobile equipment,
11 and working near belt conveyors.

12 MSHA seeks information on how
13 training can increase seat-belt use and
14 improve equipment operators' awareness of
15 hazards at the mine site. MSHA also seeks
16 suggestions on training -- how training can
17 ensure the miner's lock and tag conveyor
18 belts before performing maintenance work.

19 We're doing an investigation in
20 metal and nonmetal of a fatal that occurred
21 where a miner was caught on a conveyor belt that
22 was moving on the surface. So it's a real
23 issue; it's ongoing, and we're looking for any
24 type of ways we can find that will help decrease
25 the fatalities that have occurred.

1 We're at the lowest number of
2 fatalities ever in the mining industry, but
3 when our bar and your bar is set at zero, if we
4 have one, one is unacceptable. So we need
5 to try to continue to work towards zero.

6 This meeting will be conducted in
7 an informal manner. The panel may ask
8 questions of the participants and the
9 participants may ask questions of the panel.

10 MSHA will make available a verbatim
11 transcript of this public meeting,
12 approximately two weeks from the completion.
13 The other five should be posted by now prior to
14 this meeting. You may view the transcript of
15 all the public meetings and comments within our
16 website at MSHA.gov and on regulations.gov. You
17 may also submit additional comments using one of
18 the methods identified in the "Addresses"
19 section of the Request for Information. If
20 providing comments, please provide specific
21 information and supporting rationale to your
22 position.

23 MSHA also requests data and
24 information on the costs, benefits and
25 technological and economic feasibility of the

1 engineering controls.

2 Also, MSHA wants to hear from you
3 on suggestions, enter examples of best
4 practices for keeping miners safe around
5 powered haulage equipment.

6 All comments must be received by
7 Monday, December 24th, 2018. Again, you can
8 view the comments on regulations.gov or on
9 the agency's website at www.MSHA.gov and select
10 the link for regulations.

11 If you plan to speak and you have a
12 copy of your testimony or presentation,
13 please give a copy to the court reporter so
14 it can be appended to the transcript. When
15 you make your presentations, please spell
16 your name clearly so that the court reporter
17 can have an accurate record, and if you have
18 a business card, please give that to the
19 court reporter, as well.

20 Mr. Abel, is there anything you'd
21 like to add to anything I said?

22 MR. ABLE: Well, only that, you
23 know, we happen to be the district that's
24 investigating the current conveyor belt
25 fatality, and I would like to add that, you

1 know, we hear about all the fatal accidents
2 involving power haulers who what a lot of people
3 don't see are the day-to-day accidents that
4 occur with power haulage. And just two days ago
5 we had a front end loader back into a pickup
6 truck. It involved a creased hood
7 and grill torn up, but it could have been
8 much worse.

9 So these are day-to-day issues that
10 we have to deal with, and, you know, we
11 certainly appreciate any help we can get into
12 putting a stop to them.

13 Thank you.

14 MR. STRICKLIN: Thank you.

15 Mr. Elliot, is there anything you
16 would like to add?

17 MR. ELLIOT: No, sir.

18 MR. STRICKLIN: Mr. Elliot says,
19 "No, sir."

20 Okay, our first speaker, I believe
21 it's on the sheet over here. I believe it's
22 Mark.

23 MR. HOERBER: Yes.

24 MR. STRICKLIN: Mark Hoerber of
25 Schroth.

1 And, Mark, you've spoken in a
2 number of other ones. We appreciate you
3 coming. And please make sure that you speak
4 clearly into the microphone, which I know you
5 have in the past and I'm sure you'll continue
6 today.

7 THE WITNESS: Good morning. My
8 name is Mark Hoerber, H-O-E-R-B-E-R. I work
9 with Schroth Safety Products in Pompano
10 Beach, Florida. We are a seat belt company.
11 We make air bags and seat belt restraints.

12 Our goal is reducing fatalities as
13 much as we can. I'm here to talk today directly
14 about MSHA's Request for Information about
15 seat-belts.

16 One of the things that MSHA has
17 asked about seat-belts is, "How can we make them
18 more visible?" I'm sorry, I don't have my cheat
19 sheet cards in front of me. I'm a little out of
20 order. I apologize.

21 Actually, MSHA has just covered over
22 some of the things that we have problems with.
23 My next couple of slides just summarize some of
24 those things. All these statistics can be found
25 at the MSHA website.

1 But one of the things that holds
2 near and dear to my company is what Kevin
3 said: Since 2007, 35 people could possibly
4 still be alive had they worn their seat-belt
5 properly or just had known more what to do
6 with it better.

7 One of the things we want to do is,
8 How can we make the seat-belt more visible?
9 Right now our current solution utilizes a
10 bright web -- orange webbing that when the
11 occupant is wearing it, a safety person on
12 the ground can look up at the haul truck and
13 see the occupant wearing it.

14 The second thing about our system
15 is they can output a signal to an LED light on
16 top of the cab to -- interlock system that can
17 prevent the vehicle from moving and stuff
18 like that; whatever the mines really want to
19 do. So our system does both of those
20 actions.

21 But one thing about our system
22 that's really unique is the fact that it has
23 a motor on it, and we have an electronic box
24 that goes on any vehicle. It is not vehicle
25 dependent. What it does is when the vehicle

1 starts to roll, if it gets to a certain area
2 where it starts to get questionable, we'll call
3 it, the seat-belt will then start to tug on the
4 driver like (indicating), something like this,
5 letting them know, "Hey, you're in a precarious
6 situation. Try to get yourself out of here.
7 You have some time still."

8 If the vehicle does commit to a
9 rollover again, that sensor box will recognize
10 this and the motor will do what's called a hard
11 pull, so if the occupant is leaning forward, it
12 will reorient them into the upright position,
13 lock and function as a normal seat-belt until
14 the rollover event is complete. That is what
15 our system is doing. We're now working with
16 Peabody Energy. We have some of our units
17 currently fielded.

18 Through our efforts, Peabody Energy
19 has recently received a NIOSH safety award
20 specifically for implementing this system.

21 At this time, I'd like to open the
22 floor. If there's any questions, I'd be
23 happy to talk about the system. If there's
24 any improvements, anything that wants to be
25 suggested to have my system do, I'd be most

1 open to hearing that, as well.

2 Yes, sir.

3 UNIDENTIFIED SPEAKER: How many
4 field events have occurred where your system
5 has functioned as it's intended?

6 MR. HOERBER: I'm proud to say zero
7 because we don't want this event to ever occur.
8 I'm not looking forward to the day my system
9 works and saves a life, but I'm also looking
10 forward to the day it works and saves
11 a life because if we don't have an accident,
12 in my opinion, that would be better.

13 Currently I know we have more than
14 six in the field in trucks being used. I am
15 talking to the mine periodically and have
16 received zero false warnings and, as of now,
17 no incidents have occurred.

18 UNIDENTIFIED SPEAKER: What's the
19 basic cost?

20 MR. HOERBER: It's volume dependent
21 because we're so new into it. I'm not an
22 engineer. I'm not a salesperson.

23 UNIDENTIFIED SPEAKER: Mm-hmm.

24 MR. HOERBER: So I can't really go
25 far into the numbers. But the system, I think

1 from what I remember, again it's volume
2 dependent, could be somewhere between 16- to
3 \$2,200; somewhere around there.

4 UNIDENTIFIED SPEAKER: Are they
5 designed for older equipment?

6 MR. HOERBER: The way we have
7 approached with Peabody Energy -- so you take an
8 evaluation all of your vehicles out in the
9 field. You've got some with three points,
10 some with two points. They're targeting the
11 vehicles that have the two-point seat-belt.
12 They go, take out the seat-belt, buy a
13 brand-new seat with the system on it, drop a
14 new one in there. Their rate of changing it
15 out is cyclical to the rate of changing
16 seats.

17 Did that answer your question, sir?

18 UNIDENTIFIED SPEAKER: Yeah.

19 MR. HOERBER: Well, if there's no
20 other questions, if anybody is in Washington,
21 DC the first full week of October there is a
22 show called Association of the United States
23 Army. We will have the system on display
24 there. We welcome anybody to take a look.

25 If there are no other questions at

1 this time, I thank you for your time and
2 we'll be done.

3 MR. STRICKLIN: Thank you, Mark.

4 Is there anyone else in the
5 audience that would like to make a
6 presentation or make any statements today?

7 Okay. Well, I hate to say this,
8 but I want to thank all of you for coming
9 today, and making a presentation and just
10 showing up for the meeting.

11 I want to emphasize that we need
12 your comments by Tuesday, December 24th. We
13 will take all your comments and concerns into
14 consideration.

15 Before this meeting concludes, I
16 wanted to mention that Executive Order 13777
17 Enforcing the Regulatory Reform Agenda
18 directs each federal agency to evaluate
19 existing regulations and make recommendations
20 regarding their appeal, replacement or
21 modification consistent with applicable law.
22 As part of the evaluation, E.O. 13777 requires
23 each agency's regulatory reform task force to
24 seek input and other assistance as permitted
25 by law from entities significantly affected

1 by federal regulations.

2 In compliance with this executive
3 order, on October 23rd of 2017, MSHA posted a
4 regulatory e-mail address on the agency's
5 website for stakeholders to send recommendations
6 on existing rules, regulations and standards
7 that could be repealed, replaced or modified
8 without reducing miner's safety or health.

9 MSHA requests that stakeholders
10 review the existing comments. If commenting
11 on another -- if commenting on another
12 comment that's already posted, please
13 identify which comment you're posting on and
14 provide specific information, including any
15 empirical evidence and data to the extent
16 possible to support your position or whether
17 or not you support the commenter's proposal.

18 MSHA considers early public
19 participation in a regulatory reform process
20 to be particularly important. MSHA expects
21 that stakeholder comments will initiate
22 public dialogue and assist the agency in its
23 review and assessment of existing requirements
24 on how best to minimize regulatory burdens on
25 mine operators without diminishing protections

1 afforded by miners under the Mine Act.

2 At this time, I want to thank all
3 of you very much for coming, and this
4 concludes our stakeholder meeting. Anybody
5 that has come in, we ask you to sign our
6 sheet we have passed out.

7 (Whereupon, at 9:30 a.m., the meeting
8 in the above-entitled matter was concluded.)

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

1 REPORTER'S CERTIFICATE

2

3 I, JENNIFER A. ALEXY, a Court Reporter
4 and Notary Public in and for the State of
5 New York, do hereby certify that I recorded
6 stenographically the proceedings herein at the
7 time and place noted in the heading hereof, and
8 that the foregoing transcript is true and
9 accurate to the best of my knowledge, skill and
10 ability.

11 IN WITNESS WHEREOF, I have hereunto set
12 my hand.

13

14

15



16

JENNIFER A. ALEXY

17

18

19

20

21

22

23

24

25